

BLUE RIBBON COMMISSION ON AMERICA'S
NUCLEAR FUTURE

+ + + + +

REACTOR AND FUEL CYCLE
TECHNOLOGY SUBCOMMITTEE

+ + + + +

MEETING

+ + + + +

DAY 1

+ + + + +

MONDAY,

AUGUST 30, 2010

+ + + + +

The Subcommittee convened, at 8:00
a.m., in Ballrooms D and E of the Washington
Marriott, 1221 22nd Street, Northwest,
Washington, DC, Pete Domenici and Per
Peterson, Co-Chairs, presiding.

MEMBERS PRESENT:

PETE V. DOMENICI, Chair
PER PETERSON, Chair
ALBERT CARNESALE

SUSAN EISENHOWER
ALLISON MacFARLANE
RICHARD A. MESERVE
BRENT SCOWCROFT
PHIL SHARP

ALSO PRESENT:

TIM FRAZIER, Designated Federal Official

ALAN HANSON, AREVA

JACK FULLER, General Electric Hitachi
Nuclear Energy

KATE JACKSON, Westinghouse

ALAN DOBSON, Energy Solutions

JOHN PARMENTOLA, General Atomics

PAUL LORENZINI, NuScale

CHRISTOPHER MOWRY, Babcock and Wilcox

ROBERT HARGRAVES, Institute for Lifelong

Education at Dartmouth

THOMAS COCHRAN, Natural Resources

Defense Council

GEOFFREY ROTHWELL, Stanford University

REBECCA SMITH-KEVERN, US Department of
Energy

MIKE CAZAUBON, NuStart Energy

JOHN KELLY, American Nuclear Society

RAY ROTHROCK, Venrock Capital

JAMES ASSELSTINE, Barclays Capital

JACK SPENCER, Heritage Foundation

C-O-N-T-E-N-T-S

Call to Order	6
Tim Frazier DOE Designated Federal Official	
Comments by Subcommittee Chairs	6
Senator Pete Domenici Chair	6
Dr. Per Peterson Chair	9
Opportunities in Reactor and Fuel Cycle Technologies	12
Panel 1	
AREVA	12
Dr. Alan Hanson Executive Vice President Technologies and Used Fuel Management	
GE Hitachi	25
Mr. Jack Fuller Chairman of the Board	
Westinghouse	32
Dr. Kate Jackson Chief Technology Officer	
Energy Solution	48
Mr. Alan Dobson Senior Vice President	
Union of Concerned Scientists	62
Dr. Edwin Lyman Senior Scientist	
Radioactive Waste Management Associates	73
Dr. Marvin Resnikoff Senior Associate	
Questions and Answers	80

C-O-N-T-E-N-T-S (Cont'd)

Opportunities in Reactor and Fuel Cycle Technologies	167
Panel 2	
General Atomics	167
Dr. John Parmentola	
Senior Vice President	
Energy and Electromagnetic Systems	
NuScale	178
Dr. Paul Lorenzini	
CEO	
Babcock and Wilcox Nuclear Energy, Inc.	183
Mr. Christofer Mowry	
President	
Institute for Lifelong Education at Dartmouth	193
Dr. Robert Hargraves	
Study Group Leader	
Natural Resources Defense Council	201
Dr. Thomas Cochran	
Senior Scientist	
Stanford University	209
Dr. Geoffrey Rothwell	
Associate Director	
Stanford Public Policy Program	
Questions and Answers	216

C-O-N-T-E-N-T-S (Cont'd)

Enabling and Incentivizing Commercial First-Movers	288
Panel 3	
DOE	288
Review of ALWR and DOE 2010 Program Successes Ms. Rebecca Smith-Kevern Director DOE Light Water Technologies	
NuStart Energy	299
Mr. Mike Cazaubon Project Manager	
ANS Special Committee on Small Modular Reactors - Initial Study Findings	307
Dr. John Kelly	
Venrock Capital	318
Mr. Ray Rothrock Partner	
Barclays Capital	332
Mr. James K. Asselstine Managing Director	
Heritage Foundation	345
Mr. Jack Spencer Research Fellow	
Questions and Answers	356
Adjournment	421

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22

P-R-O-C-E-E-D-I-N-G-S

8:01 a.m.

MR. FRAZIER: Okay. I would like to welcome you all to the Reactor and Fuel Cycle Technology Subcommittee of the Blue Ribbon Commission on America's Nuclear Future.

And without further ado, I'm going to turn it over to Per or Senator Domenici. Senator?

CHAIR DOMENICI: Thank you very much.

Welcome, everyone.

I'm Pete Domenici, Co-Chairman with Per Peterson.

We have a long session today, so we would appreciate it if everybody would follow rules that have been laid down and then circulated.

This is day one of a two-day hearing.

Can everybody hear what I'm saying? Got it? Okay? Not good? How about

1 that? Is that better? Just a little? Well,
2 somebody fix this. That's all I can do, I
3 guess. It's better?

4 All right. Our first panel today
5 is called "the Opportunities in Reactor and
6 Fuel Cycle Technologies". Prior to their
7 appearance today, the Commission asked the
8 panelists to consider the following questions.
9 Everyone should know that we asked to try to
10 do this.

11 One, from your perspective, are
12 there technology options, including
13 alternatives to the once-through cycle, that
14 hold significant potential to influence the
15 way in which used fuel is stored and disposed?

16 Second, are there federal actions
17 that could facilitate commercial efforts to
18 develop and deploy these technology options
19 while meeting economic, safety, environmental
20 protection, security, and non-proliferation
21 goals?

22 I would like to remind our invited

1 speakers that they are to keep their
2 presentations to 10 minutes or less, and that
3 the remainder of the panel's time will be
4 spent on questions and discussions with the
5 Subcommittee members.

6 Let me introduce our first
7 panelist. All right, let me introduce our
8 first panel. Dr. Alan Hanson, Executive Vice
9 President of Technologies and Used Fuel
10 Management from AREVA.

11 Our second panelist is Jack
12 Fuller, Chairman of the Board for GE Hitachi
13 Nuclear Energy.

14 Our next panelist is Dr. Kate
15 Jackson, Chief Technology Officer for
16 Westinghouse.

17 And our next panelist is Mr. Alan
18 Dobson, Senior Vice President of Energy
19 Solutions.

20 Following that will be Dr. Ed
21 Lyman, Senior Scientist, the Union of
22 Concerned Scientists.

1 And our last panelist is Dr.
2 Marvin Resnikoff, Senior Associate of
3 Radioactive Waste Management Associates.

4 Before we proceed with any of our
5 panelists, my Co-Chairman, Dr. Per Peterson,
6 has some remarks.

7 CHAIR PETERSON: Excellent. Thank
8 you, Senator Domenici.

9 I look forward, also, to hearing
10 from our speakers today. We are fortunate to
11 have so much interest from a diverse and
12 knowledgeable group.

13 We have invited everybody here to
14 help us gain a broader understanding of the
15 issues associated with continued utilization
16 of reactor and fuel cycle technologies.

17 When looking at this meeting's
18 agenda, it is important to note that our
19 Reactor and Fuel Cycle Technology Subcommittee
20 was formed to address the question, and this
21 is a question: do technical alternatives to
22 today's once-through fuel cycle offer

1 sufficient promise to warrant serious
2 consideration and R&D investment? And do
3 these technologies hold significant potential
4 to influence the way in which used fuel is
5 stored and disposed?

6 While our first Subcommittee
7 meeting in Idaho specifically focused on
8 understanding major U.S. R&D programs,
9 specifically R&D conducted by the Department
10 of Energy's Office of Nuclear Energy and
11 industry's Electric Power Research Institute,
12 today and tomorrow's panels will begin to look
13 at the major issues associated with
14 commercialization, those issues that affect
15 the potential to bring these new technologies
16 into commercial deployment.

17 The United States is an undisputed
18 leader in innovation and improvement in other
19 highly-regulated technologies, such as
20 commercial aircraft, drugs, and medical
21 devices. This U.S. market dominance is not an
22 accident. It comes from having well-designed

1 federal policies that incentivize innovation
2 and commercial investment, and having highly-
3 competent and capable regulatory authorities.

4 While this specific meeting covers
5 topics that relate to commercialization of new
6 reactor and fuel cycle technologies, I would
7 like to also note that subsequent meetings of
8 our Subcommittee will cover additional areas,
9 including economic valuation of costs and
10 benefits of new reactor technologies;
11 regulations for safety, health, and
12 environmental protection, and nuclear non-
13 proliferation and physical security of
14 facilities and materials.

15 So, in closing, I would like to
16 again thank all of our panelists today. We
17 look forward to a productive two days for the
18 Subcommittee meeting.

19 And now I would like to open the
20 floor to any of our other Commissioners who
21 would like to make a brief statement.

22 Any at this point?

1 (No response.)

2 Okay. Then I think that we can
3 begin the day's activities.

4 And, Senator, I think that you are
5 the one who will introduce the first panelist.

6 CHAIR DOMENICI: Our first
7 panelist is Dr. Alan Hanson, Executive Vice
8 President of Technologies and Used Fuel
9 Management at AREVA.

10 Please proceed.

11 DR. HANSON: Thank you, Mr.
12 Chairman. It's a pleasure to be here this
13 morning.

14 The Commission's invitation
15 requested information in two broad areas. The
16 first one is technology options, alternatives
17 to the once-through cycle, and the second one
18 is federal actions that would facilitate
19 commercial efforts to develop such
20 technologies. I am going to try briefly to
21 discuss both of those. More details can be
22 found in my written testimony, which was

1 submitted earlier.

2 AREVA supports an integrated
3 approach to used fuel management in the United
4 States that includes interim storage,
5 recycling, and disposal. Commercial recycling
6 of used nuclear fuel has a long and
7 successful, safe, and secure history, albeit
8 mostly outside of the United States. AREVA
9 has successfully and profitably operated a
10 recycling complex for more than four decades.

11 So, let me begin by discussing a
12 recycling technology option using aqueous
13 processing and recycling thermal reactors.
14 Today there's approximately 60,000 tons of so-
15 called nuclear waste sitting in pools in dry
16 storage in the United States. This is not
17 waste. This is used fuel, and it is largely
18 recyclable.

19 When it's discharged from the
20 reactor, it is not completely spent.
21 Recycling consists of separating the waste
22 material from the reusable material, the

1 uranium and plutonium, and manufacturing
2 fresh, new fuel.

3 In terms of mass, 96 percent of
4 the content of the used fuel is reusable. The
5 remaining 4 percent is the actual high-level
6 waste which contains practically no remaining
7 fissile material and no energy value.

8 Recovered uranium can be re-
9 enriched and used to fabricate fresh, new fuel
10 assemblies. Recovered plutonium is blended
11 with depleted uranium to produce mixed oxide
12 fuel and put back in commercial reactors.

13 The remaining 4 percent of waste
14 is stabilized in a vitrified form for geologic
15 disposal.

16 This process, invented in the
17 United States, has benefitted from decades of
18 lessons learned and continuous improvements in
19 other places in the world, particularly in
20 France, the UK, and Japan.

21 But rather than employ state-of-
22 the-art technologies and processes, an

1 approach that we would recommend would do the
2 following:

3 It would implement an enhanced co-
4 extraction process which produces no pure
5 plutonium either as the end product or
6 anywhere in the plant.

7 Co-location of treatment and fuel
8 fabrication facilities, enhanced protection
9 systems and design approaches, and flexibility
10 in design, so that advanced separation
11 techniques can be added later.

12 In short, what we are suggesting
13 is not your father's PUREX reprocessing. It
14 is advanced aqueous recycling.

15 Now I want to discuss some of the
16 benefits associated with doing this.

17 First of all, it reduces the
18 burden on the geologic repository. This, of
19 course, is much of what the Commission is
20 seeking to do. Only 4 percent, as I said, of
21 the used fuel has to go into that geologic
22 repository. And when it is vitrified into a

1 highly-stable glass form, it is very suitable
2 for disposal.

3 The volume reduction is crucial,
4 as it allows maximum use of the geologic
5 repository. We are heat-limited in some
6 locations, and we need to minimize the heat as
7 well. But reducing the volume and at the same
8 reducing some of the isotopes helps in that
9 regard as well.

10 Reducing radiotoxicity is another
11 goal, and recycling does this. The main
12 contributors to long-term toxicity are the
13 uranium and plutonium, which are removed and
14 recycled. The remaining fission products and
15 some of the minor actinides will decay in a
16 period of time that is less than it would be
17 with the uranium/plutonium included.

18 I've already mentioned the robust
19 waste form. The glass matrix that holds the
20 fission products is highly stable and will
21 last for hundreds of thousands, millions of
22 years. This can be demonstrated through

1 scientific analysis of the glass.

2 Recycling also contributes to
3 energy security. The 60,000 tons of used fuel
4 that is sitting in the United States is a
5 resource which could, if all recycled, power
6 all 104 reactors for six or seven years with
7 no more uranium pulled out of the ground. I'm
8 not suggesting that be done, but it gives you
9 an indication of the magnitude of the energy
10 resource.

11 And of course, it saves that
12 resource because you don't need to dig out the
13 virgin uranium and to enrich it. And as a
14 result of that, you can reduce the amount of
15 uranium needed by about 25 percent.

16 Recycling produces a waste form
17 which is free of IAEA safeguards. You don't
18 need to spend the rest of your life
19 safeguarding the vitrified waste because it
20 has no fissile content of any significance.

21 Now let me address proliferation
22 because, of all the issues that seem to be an

1 obstacle to recycling, this is the key one.

2 I would argue that recycling supports an
3 international non-proliferation framework.

4 Burning plutonium destroys
5 approximately 30 percent of the plutonium in
6 the used fuel and it degrades the composition
7 of the rest of the fuel to such a level that
8 it is less attractive for weapons purposes.

9 Don't misunderstand. This doesn't
10 mean that it can't be done. The physics say
11 that it can. But it is certainly less
12 attractive.

13 So, we take our non-proliferation
14 responsibilities very seriously, and we
15 believe that recycling, in fact, contributes
16 to non-proliferation.

17 The fundamental question before
18 the Commission, would a decision by the U.S.
19 to recycle used fuel and close the nuclear
20 fuel cycling contribute to proliferation or it
21 would do the opposite and contribute to a
22 strong international non-proliferation

1 paradigm?

2 The federal government has been
3 successful in protecting its own stockpile of
4 weapons-grade material. So there is no reason
5 to believe that it cannot adequately protect
6 less attractive reactor-grade materials from
7 commercial recycling.

8 If diversion or theft of plutonium
9 can be prevented by extensive national and
10 international safeguards and physical
11 protection, there's only one reason not to do
12 it, and that is not to set an example for the
13 rest of the world. This, of course, is the
14 ostensible reason that we stopped recycling in
15 the United States 30 years ago.

16 But that policy did not prevent
17 Britain, France, Japan, or Russia from
18 domestic recycling, and I'm here to tell you
19 it will not stop China and India, who are
20 moving ahead aggressively to do commercial
21 recycling.

22 Notice that the only countries

1 that build recycling facilities are ones with
2 very large programs, and that's necessary
3 because the economics of recycling are such
4 that you have to do it on a large scale to
5 make it economically attractive.

6 For the United States to
7 effectively lead in meeting the non-
8 proliferation challenge internationally, a
9 policy shift is going to be needed here at
10 home.

11 Again, we propose an integrated
12 used fuel management strategy that includes
13 recycling, or at least at this point in time
14 includes the option for recycling. This would
15 help limit the continuing accumulation of used
16 fuel, utilize the residual energy value,
17 restore credibility in fuel cycle management,
18 support the nuclear renaissance, and,
19 importantly, establish an industrial skilled
20 workforce to carry out recycling in the
21 future.

22 Federal research and development

1 is still needed. I don't want to suggest that
2 we know everything that we need to know about
3 recycling. However, this is not the full
4 answer to what needs to be done.

5 I would caution the Commission
6 against trying to leapfrog technologies and to
7 seek fuel cycles which don't exist. In
8 particular, a proliferation-proof fuel cycle,
9 no such thing exists, and we shouldn't be
10 looking for it. We should try to improve
11 proliferation resistance, and that can be and
12 should be done with technologies that are
13 available today. And today, the United States
14 has got a pressing obligation to address our
15 large and growing used fuel backlog.

16 There are important socioeconomic
17 considerations that must be addressed.

18 CHAIR DOMENICI: Sir?

19 DR. HANSON: Yes?

20 CHAIR DOMENICI: Why do you
21 caution us on that regard?

22 DR. HANSON: I could give you a

1 couple of examples which I will postpone until
2 later of cases where the United States has
3 tried to leapfrog technology and has produced
4 less-than-desirable results, and in some
5 states catastrophic results.

6 CHAIR DOMENICI: So you're saying
7 it's just not a good way to go?

8 DR. HANSON: It's not a good way
9 to go. The nuclear industry evolves in an
10 evolutionary fashion, not a revolutionary
11 fashion. I've got some good examples for you,
12 if you want.

13 CHAIR DOMENICI: Okay. I got you.
14 Thank you.

15 DR. HANSON: Okay. The cost of
16 recycling needs to be quantified. I've seen
17 numbers all over the map. We know very well
18 at AREVA what it costs to do recycling. I'm
19 not going to argue that it is more or less
20 than throwing fuel away. I would just caution
21 people here nobody has been successful in
22 throwing fuel away directly and, therefore, we

1 don't know what the cost is to do that. We do
2 know what the cost of doing recycling is.

3 Other advantages:

4 Thousands of skilled labor jobs
5 are created, and this would provide local
6 economic development.

7 Private capital can be leveraged
8 in order to do recycling under the proper
9 circumstances.

10 And of course, extensive
11 environmental monitoring is an imperative.

12 Now, in order to finish here, I
13 want to turn to the second question regarding
14 actions to facilitate recycling and better
15 used fuel management. And there are a couple
16 of things that I would highly recommend.

17 The current U.S. policy framework
18 is from another era. The once-through fuel
19 cycle is not consistent with the resurgence of
20 nuclear power. More nuclear power means more
21 used fuel, and something needs to be done to
22 deal with it.

1 Policy modernization in the United
2 States is crucial to restoring public
3 confidence in nuclear energy. In order to do
4 that, we must chart a path that enables an
5 integrated used fuel management solution with
6 options for interim storage, recycling, and
7 disposal.

8 A national commitment is needed, a
9 commitment that stays in place for a long
10 time. And to assure public acceptance, U.S.
11 policy should affirmatively support the
12 recycling of used nuclear fuel.

13 Just to conclude, there are two
14 things that we need. We need to remove the
15 responsibility for waste from the Department
16 of Energy and place it in an independent
17 federal corporation, free from the vagaries of
18 politics and the budget cycle.

19 And we need a stable regulatory
20 environment at the NRC. To their credit, they
21 have started down this path, and they should
22 continue, so that we have the means to do

1 recycling at some point in the near future.

2 Thank you very much. I'm sorry it
3 was very rushed. I would be happy to answer
4 questions later on, if you have them.

5 CHAIR DOMENICI: Thank you very
6 much, sir. We're the ones that rushed you.
7 We don't give you much time, but we'll read
8 your statements; don't worry.

9 Our next witness is Dr. Jack
10 Fuller, Chairman of the Board for GE Hitachi
11 Nuclear Energy.

12 MR. FULLER: Thank you, Mr.
13 Chairman.

14 Good morning.

15 I'm Jack Fuller, the Chairman of
16 the GE Hitachi Nuclear Energy. I'm delighted
17 to have the opportunity to be here today to
18 share with you my vision for America's nuclear
19 energy future and to specifically outline a
20 policy direction that makes sense for the
21 country.

22 As it has done for decades, the

1 U.S. nuclear industry has the potential to
2 lead in innovation of the next-generation
3 nuclear technologies, new technologies to
4 enrich uranium, to generate, safe, clean, and
5 reliable electricity, and to recycle nuclear
6 fuel. However, as is the case in the nuclear
7 industry, government policy is the key to
8 success in this area.

9 GE Hitachi nuclear energy, a
10 global alliance formed by GE and Hitachi, is
11 prepared to offer new technologies to
12 customers around the world. Headquartered in
13 Wilmington, North Carolina, GEH is a world-
14 class enterprise with a highly-skilled
15 workforce and global infrastructure dedicated
16 to serving the nuclear industry. We're proud
17 of our record of accomplishments, both in the
18 U.S. and overseas, that spans over five
19 decades in the business.

20 Our nuclear alliance is recognized
21 as the world's foremost developer of boiling
22 water reactors, robust fuel cycle products,

1 and highly-valued nuclear services.

2 For years now, we have been
3 hearing about the next nuclear renaissance.
4 I'm a little reluctant to use that term, but
5 I do envision a future that has as many as 250
6 to 1,000 new plants by the year 2030 around
7 the world, as estimated by the World Nuclear
8 Association.

9 As we enter this new era,
10 innovation will help bring solutions,
11 solutions to life extension and power uprates
12 for our current fleet of plants, developing
13 the Generation-3 passive designs of ESBWR for
14 future generations, enriching uranium more
15 efficiently with laser technology, and
16 addressing the most debated, although I would
17 argue not the most difficult challenge of what
18 to do with the used nuclear fuel.

19 We have been tempted in the U.S.
20 to believe the solution to the back-end of the
21 fuel cycle is too complex to solve. However,
22 on a simple level, I think it's no more

1 difficult than what we do at home, recycle and
2 reuse materials. We can boil it down to the
3 options of what I call the 3 R's: repository,
4 reprocessing, and recycling.

5 And I want to differentiate my
6 comments from my friend here from AREVA, that
7 what I believe I will be talking today about
8 is advanced recycling technology, not
9 reprocessing technology, which uses MOX fuel
10 that we currently do today with our friends at
11 AREVA for our Japanese customers.

12 Certainly we can design a safe
13 repository for long-term. We have proved that
14 on used fuel. Or we can follow the policy
15 choice of our allies to reprocess light water
16 reactor used fuel.

17 However, we have another option,
18 the next step in technology: recycling of our
19 nuclear fuel using scientifically-proven
20 technology. We believe it is time for the
21 U.S. to embrace a policy of recycling of this
22 fuel.

1 Full recycling takes used nuclear
2 fuel and separates the uranium and the
3 transuranics using a molten salt path and
4 electricity. The recovered uranium and
5 transuranics are then used as fuel in the
6 Generation-4 technology reactor, thereby
7 generating electricity from this used fuel.
8 The remaining fission product wastes are
9 placed in a ceramic and metal alloy, which
10 requires safe storage in an acceptable
11 repository going forward.

12 This process is preferred to other
13 solutions for several reasons, including:

14 First, reducing the required
15 storage time for the waste from thousands and
16 thousands of years to 300 to 500 years.

17 Second, extracting greater than 90
18 percent of the available energy from the
19 uranium ore as compared to 5 percent extracted
20 with the current technologies.

21 Third, minimizing proliferation
22 concerns by not separating plutonium from the

1 other transuranics.

2 And finally, eliminating the
3 government's need for support after we
4 commercialize this technology.

5 Our vision is to have advanced
6 recycling centers located near operating
7 plants. As shown in this slide, the center
8 would include two different buildings, one
9 that houses modules that would do the
10 separations, a second that houses a sodium-
11 cooled reactor generating electricity and
12 burning up the transuranic materials. By the
13 way, this is what we call a small module
14 reactor of about 300 megawatts per unit.

15 The capital cost of these two
16 buildings is relatively low since, just like
17 adding on capacity to your house as your
18 family grows, you would add additional
19 separation and generation capacity as your
20 needs arise.

21 The economics of the recycling
22 center improves as additional units are added,

1 through replication of the design that you
2 provided in the first one.

3 We believe that if a recycling
4 policy is adopted, we could have a
5 demonstration advanced recycling center
6 operating in about 15 years, followed by
7 multiple commercial units the following
8 decades.

9 Some of the specific items that
10 need to get to this vision are highlighted in
11 my written statement, but let me quickly point
12 out ones that need to be done now.

13 First and foremost, Congress needs
14 to adopt the fed-corp legislation creating an
15 organization that has the authority to
16 establish and manage a long-term solution for
17 the back-end of the fuel cycle.

18 Second, Congress should fund a
19 small reactor R&D program that includes
20 advanced reactors, such as PRISM and pyro
21 processing, as well as small light water
22 reactors.

1 And finally, by recommending full
2 recycling, the Blue Ribbon Commission can help
3 ensure U.S. technology leadership and enhanced
4 energy security while at the same time address
5 the policy challenge of nuclear fuel
6 management in a very pragmatic way.

7 I want to thank you for the
8 opportunity to be here today, and I look
9 forward to further discussions on this topic.
10 Thank you.

11 CHAIR DOMENICI: Thank you, sir.

12 Now we are going to proceed to our
13 next witness, Dr. Kate Jackson, the Chief
14 Technology Officer for Westinghouse.

15 We're delighted to have you, and
16 we're sorry that we are only giving you such
17 a short period of time.

18 DR. JACKSON: That's okay,
19 Senator. Thank you.

20 Good morning.

21 On behalf of the 15,000
22 Westinghouse employees working around the --

1 CHAIR DOMENICI: Pull that
2 microphone up.

3 DR. JACKSON: -- around the world
4 and around the clock to keep nuclear power
5 safe and secure, I would like to begin by
6 expressing my thanks to President Obama and
7 Secretary Chu for commitment to a strong,
8 transformative, carbon-free nuclear power
9 industry.

10 I also want to thank the members
11 of the Blue Ribbon Commission and this
12 Subcommittee for the opportunity to make some
13 short remarks.

14 Westinghouse has been a leader in
15 the nuclear reactor design industry for six
16 decades. Of the 104 reactors currently
17 operating in the United States, 62 of those
18 are Westinghouse designs.

19 Westinghouse has vast experience
20 in reactor design and innovation, most notably
21 the AP1000, a breakthrough design in enhanced
22 safety, performance, and fuel efficiency.

1 Other Westinghouse technologies include liquid
2 metal fast reactor designs that are especially
3 effective for reprocessing and remanufacturing
4 fuel for optimum efficiency.

5 In the fifties, Westinghouse began
6 assembling a world-class group of scientists
7 and engineers and the resulting innovation of
8 a standardized design, the AP1000, the
9 flagship of our Generation-3+ product line.

10 And since 1995, we have been investing in the
11 development of small modular reactors that
12 hold great promise for delivering
13 environmental benefits to a broad array of
14 customers.

15 When a Westinghouse customer
16 anywhere in the world buys a reactor or a fuel
17 product from us, they get the added benefit of
18 our competency in licensing and nuclear
19 regulatory affairs in the United States and
20 internationally.

21 Nuclear U.S. policies represent
22 the highest standards of regulated safety and

1 environmental protection, and Westinghouse
2 rigorously deploys those standards here and
3 around the world.

4 But if we are to grow our American
5 fleet in nuclear reactors, we must have a new
6 and improved set of standards for fuel
7 processing and management, and those standards
8 must be as rigorous and sustainable as our
9 safety and operating framework.

10 U.S. leadership on this policy
11 will result in U.S. leadership in technology.
12 This will provide greater certainty for
13 worldwide safety and security standards. With
14 more public investment in the earliest phases
15 of the design and basic research, the U.S.
16 will more effectively develop technology based
17 on resulting standards and delivered solutions
18 in the U.S. and international markets, and
19 this means American jobs.

20 Westinghouse provides
21 approximately 54 percent of the nuclear fuel
22 to the U.S. pressurized and boiling water

1 reactor market, as well as a significant share
2 of the world market. This expertise and
3 resource capacity provides us with exceptional
4 understanding of fuel management, including
5 physics, financial, technical, and regulatory
6 aspects of every stage of the fuel cycle for
7 almost every fuel.

8 Up until now, the industry has
9 segmented the nuclear fuel cycle into pieces.
10 Vendors and nuclear utilities have focused on
11 the front-end, optimizing the efficiency and
12 cost of producing both fuel and electricity.
13 The assumption has been that the back-end will
14 be optimized by the federal government, and
15 that once fuel is used, payments made to the
16 federal government by the utilities for waste
17 management will cover the full range of back-
18 end management.

19 This compartmentalization does not
20 provide financial incentives for the
21 improvement in front-end fuel efficiency,
22 waste prevention or reduction, nor does it

1 allow the needs or the requirements of the
2 back-end objectives to drive improvements in
3 the front-end for desirable back-end results.
4 We believe that that practice must change, and
5 we must manage the technical, economic,
6 environmental, and policy issues as a coherent
7 system.

8 With the perspective of the entire
9 fuel cycle, we believe a physics-driven
10 approach that begins with the determination of
11 public acceptability is the most effective and
12 viable new fuel policy path. The challenge
13 for the back-end has been to take the existing
14 legacy of used fuel and store it permanently.

15 Designing for safe, secure, and
16 permanent storage has led to vigorous debate.
17 How long is permanent? If we start with the
18 goal, say a time for storage that is
19 conceivable or understandable to the public,
20 say 300 years, as a toxicity target, and a
21 toxicity target at that time for no greater
22 than the original uranium, then we can design

1 back through the fuel cycle to achieve those
2 targets.

3 Technologies developed for
4 application to the back-end of the nuclear
5 fuel cycle were designed decades ago in
6 different policy regimes to address slightly
7 different issues, and so, may not be optimal
8 for use now.

9 For example, mixed oxide fuel
10 production, which Westinghouse participates
11 in, is a path that is currently available, and
12 so we are pursuing it. But it doesn't reduce
13 the volume of used fuel as significantly as we
14 would like. We don't get significantly more
15 energy from that fuel, and it produces greater
16 amounts of minor actinides that might be
17 needed to be handled later. So we do need
18 investment in new technologies.

19 Redesigning the nuclear cycle for
20 the back-end does help, but we are living with
21 the legacy of light water reactor used fuel.
22 Therefore, we need also to invest in

1 technologies that dramatically improve fuel
2 cycle economics and decreased waste stream,
3 including technologies ranging from re-
4 cladding and re-shuffling to some forms of
5 recycling.

6 We think that the incentives need
7 to be changed through new federal policy.
8 Once a goal is established for final end
9 product, this sets specifications for the
10 technologies that must be developed. How much
11 do separation processes have to work, how the
12 reactor works for recycling, and how that
13 cycle that Jack Fuller talked about will work.

14 Even if the Commission were to
15 enact new requirements for fuel cycle
16 integration with a physics-driven strategy,
17 the industry would need adequate time to
18 implement changes. The path from our current
19 baseload energy portfolio to a mixed program
20 where we produce an even larger portion of our
21 power from nuclear fuel will require the
22 development of new reprocessing technologies

1 that achieve the required levels of bad-actor
2 separation from the waste, as well as reactors
3 that can handle the volume.

4 Besides technology, the U.S. must
5 have a road map of how we will get from where
6 we are today to a new era of nuclear energy.
7 Ad hoc solutions that address only part of the
8 problem will only lead to ineffective resource
9 investments.

10 As I indicated, Westinghouse is
11 investing in strategies to generate a rational
12 approach for back-end fuel problems. We took
13 on this task because we have a significant
14 stake in finding a solution to high-level
15 waste problems that's acceptable to the
16 general public, as well as economically
17 acceptable to our customers who supply low-
18 cost carbon-free electricity.

19 We have significant capabilities
20 to solve this problem and strong interest in
21 finding solutions. Our technologies and
22 product lines include advanced light water

1 reactors, gas reactors, and fast spectrum
2 reactors.

3 A few notable programs in which
4 Westinghouse was a primary technology partner
5 are the Fast Flux Test Facility and the Clinch
6 River Breeder Reactor.

7 In the areas of high-level waste
8 handling, Westinghouse was the prime
9 contractor in a successful cleanup of high-
10 level waste at both West Valley and Savannah
11 River.

12 Our investments in this project
13 produce invaluable lessons and expertise and
14 unmatched capability. We have a team of
15 experienced people familiar with technology
16 needs to solve waste problems produced by the
17 current reactor fleet and a growing number of
18 younger people who are learning these
19 technologies. And this really is an opportune
20 time to leverage the transfer of technical
21 knowledge of our experienced personnel to
22 future experts who will become the backbone of

1 the nuclear industry.

2 I will just sum with some
3 recommendations.

4 Defining a new policy by starting
5 with outcomes that are publicly acceptable,
6 the prevention and reduction of toxicity and
7 volume of used fuel are desirable and will
8 drive investments in and standards for
9 reactors and technologies that can produce
10 those desired outcomes.

11 Develop a new fuel cycle policy
12 using science as the means to get to
13 acceptable outcomes. We must define what's
14 publicly acceptable first and then use a
15 physics-driven strategy to reach those
16 targets.

17 Develop new, publicly-acceptable
18 fuel policy with collaboration from all
19 stakeholders. A successful new policy will
20 need to focus on waste, acceptability,
21 economics, and proliferation controls.
22 Westinghouse advocates that a collaborative

1 process includes the Department of Energy,
2 which needs to act as a funding source to
3 develop new separations and reactor
4 technologies that meet public expectations;
5 the National Labs, which need to serve as the
6 brain trust to generate new technologies
7 required by industry; the nuclear industry to
8 develop low-cost technologies and products to
9 solve those problems, based on the science and
10 technology delivered via government.

11 How to communicate the things that
12 we need from government in order to keep our
13 business technically proficient and
14 economically cost-effective.

15 And it includes the political
16 process that must protect and promote a
17 transformative national energy future of
18 carbon-free baseload nuclear energy.

19 Increase government investment in
20 research and technology development to
21 shoulder a greater portion of the risk in
22 early development projects. Government must

1 offset the risk of exceptionally long time
2 horizons, assuring private capital markets and
3 companies that their investments will pay off.

4 Westinghouse competes with
5 subsidized, nationalized nuclear energy
6 companies, and we need a clear national policy
7 goal for fuels. And we need to be assured
8 that the government will take on the majority
9 of risk in the early stages of technology
10 development that will move the industry to new
11 policy goals.

12 Increased funding for the Nuclear
13 Regulatory Commission, so that it can build
14 capacity to be involved in technology
15 development. The sophisticated and
16 collaborative licensing process of the NRC
17 must be brought to bear early in the
18 technology development process to identify
19 issues that need to be addressed and reduce
20 the risk of technical innovation later in the
21 process.

22 To support this imperative, the

1 NRC needs more resources now to prepare for
2 the technologies and processes that emerge
3 from an integrated fuel cycle strategy. They
4 will need to prepare to evaluate and
5 efficiently perform testing to ensure public
6 safety without delaying the industry, as it
7 adapts to an integrated strategy.

8 But we must stay on two parallel
9 tracks to resolve our legacy waste issues
10 while taking action to create the future of a
11 physics-driven policy. At Westinghouse, we
12 believe that a fresh and effective policy
13 framework for fuels could potentially alter
14 the debate on disposition in a positive way.

15 Prevention and reduction of
16 toxicity and reduced volume of used fuel are
17 desirable. If we are investing in reactors
18 that produce those desired outcomes, then we
19 have new long-term storage options available
20 to us.

21 But we must proceed on at least
22 two tracks. While we pursue a long-term

1 physics-driven strategy for the future, we
2 must also work to get more efficiency from
3 fuel through recycling technologies.

4 Spent fuel is, and will continue
5 to be, stored safely in interim locations. In
6 the short-term, maintaining our current
7 storage policies can actually provide some
8 flexibility for getting additional energy out
9 of the current stock of stored used fuel that
10 would otherwise be shipped to final
11 disposition.

12 Mr. Chairman, again, on behalf of
13 the 15,000 employees who take great pride in
14 over 100 years of Westinghouse innovation in
15 science and technology, I thank you for your
16 service and serious consideration of our views
17 and recommendations.

18 CHAIR DOMENICI: Well, you are
19 welcome, ma'am. I was tempted to ask you
20 would you take two minutes and give us a
21 summary of a one/two, what you would do, but
22 I think I won't. We'll get to you when the

1 questions come.

2 And I would like to say to your
3 15,000 employees that you were speaking to
4 that some of us are concerned about the future
5 because we would like the fifteen to turn into
6 thirty, if the world's going to move ahead.

7 DR. JACKSON: As would we.

8 CHAIR DOMENICI: As would you.

9 But we had certainly better do some things or
10 it won't be fifteen; it will come down instead
11 of the other way.

12 So you've got to wish us well in
13 doing the right thing.

14 DR. JACKSON: And we do.

15 CHAIR DOMENICI: Having said that,
16 we will go to the next witness, and thank you
17 very much.

18 Our next panelist is Alan Dobson,
19 Senior Vice President of Energy Solutions.

20 Mr. Dobson, would you mind telling
21 us what that means, that Senior Vice President
22 of Energy Solutions?

1 MR. DOBSON: Yes. Chairman
2 Domenici, Chairman Peterson, distinguished
3 members of the Committee, I'm Senior Vice
4 President responsible for fuel cycle and used
5 fuel management within Energy Solutions. If
6 you want to discuss that in more detail, I
7 would love to do that a little bit later. But
8 given that we're trying to move on, and I just
9 have 10 minutes, I would like to give some of
10 my remarks.

11 CHAIR DOMENICI: I won't take from
12 your 10 minutes. Don't give it to him.

13 (Laughter.)

14 What are you, Energy Solutions?
15 What do you do?

16 MR. DOBSON: Energy Solutions is a
17 company which deals with nuclear waste. We
18 were formed by the acquisition of a number of
19 nuclear companies over the past six years. In
20 my own case, I came from the old British
21 Nuclear Fuels, a U.S. subsidiary of BNFL, Inc.
22 And we provide used fuel management, waste

1 treatment, and we have recycling technology,
2 and we have developed recycling technology,
3 for instance, for the Department of Energy
4 under the GNEP program.

5 CHAIR DOMENICI: If I were to ask
6 you if you're experts at something, what are
7 you expert at?

8 MR. DOBSON: We're certainly
9 experts at waste treatment, but we have great
10 expertise in recycling and in technology
11 application and development.

12 CHAIR DOMENICI: All right.

13 MR. DOBSON: So, for instance,
14 Energy Solutions has developed the technology
15 for dealing with the United States high-level
16 liquid waste vitrification processes, and it
17 is our technology that will be used at the
18 Hanford Waste Treatment Plant, when it is
19 completed, and has been used in other
20 situations around the United States and around
21 the world.

22 CHAIR DOMENICI: All right, we got

1 you. Now proceed. Your time hasn't been taken
2 from you.

3 (Laughter.)

4 MR. DOBSON: Thank you.

5 Well, first of all, we were asked
6 to address two questions today:

7 Are there technology options,
8 including alternates to the once-through
9 cycle, that offer significant potential to
10 influence the way in which used fuel is stored
11 and ultimately disposed?

12 And the second question was, are
13 there federal actions that could facilitate
14 commercial efforts to deploy those technology
15 options while meeting, of course, safety,
16 economic, environmental, security, and non-
17 proliferation goals?

18 The short answer to both questions
19 is emphatically yes, and we believe the
20 nation's best interest is served by moving
21 down a path to take the actions to realize
22 those options.

1 I want to try to address just four
2 things in my remarks today that will enable us
3 to move forward. I want to talk about
4 technology. I want to talk about technology
5 demonstration. I want to talk about creation
6 of a new government entity. We call that fed-
7 corp. But, last, I want to talk about an
8 integrated approach to used fuel management in
9 which regional fuel management facilities
10 would be created.

11 Taking each of these, technology
12 availability. There are several technology
13 options that are available. We have heard
14 about a couple of them today already. They
15 have huge potential to beneficially impact the
16 way used fuel is stored and disposed of in the
17 U.S.

18 Options exist for fuel storage,
19 recycling, and ultimate disposal that
20 represent significant changes to the current
21 strategy and, moreover, because of those
22 changes, offer significant advantages. Some

1 of those options require little development
2 work and some require extensive development
3 work.

4 Energy Solutions developed a
5 comprehensive solution for closing the fuel
6 cycle. It is based upon advanced chemical
7 technology, but uses commercially-proven
8 equipment that could be fully implemented
9 today. And it would bring significant
10 benefits in waste management and ultimate
11 disposal.

12 It would reduce the volume. It
13 would reduce the heat. It would reduce the
14 radiotoxicity, and it would reduce the cost of
15 disposal of the waste. But perhaps most
16 significantly, it would open up alternative
17 final disposal options.

18 It would have many more
19 environmental impacts. Aerial and liquid
20 discharges would be close to zero, and it
21 would not increase proliferation risk.
22 Plutonium would never be separated alone. It

1 would always be with other transuranics, and
2 plutonium would be consumed.

3 These ideas are more fully
4 described in our GNEP deployments to this
5 report, and we have submitted copies of that
6 report to the Subcommittee. We would be very
7 pleased to follow up on the topic of closing
8 the fuel cycle, as we described it in that
9 report, if it will help the Subcommittee.

10 The second aspect that I would
11 like to discuss is technology demonstration.
12 Although advanced technology -- and I do use
13 the word "advanced" very carefully and very
14 advisedly -- is available for deployment
15 today, that does not mean that further R&D is
16 not required.

17 Fast reactors, for instance, have
18 significant potential to bring benefits, but
19 more development work is required before
20 commercial deployment is possible. That
21 includes development work in the fuel cycle
22 for fast reactors, especially if we want to

1 exploit the fast reactor's ability to consume
2 long-lived radionuclides such as the
3 transuranics.

4 A key requirement, for instance,
5 is to demonstrate that the thermal fuel cycle
6 can be effectively integrated with the future
7 fast reactor cycle. For LWR fuel recycling,
8 our work has shown that aqueous processes are
9 more suitable, the advanced aqueous processes
10 are more suitable, but the non-aqueous
11 processes, pyro or electrowinning, as they're
12 called, may be better for the fast reactor
13 fuel. The key question is, how do we bring
14 them together?

15 We believe that a program leading
16 to a large engineered and scaled demonstration
17 facility is required. And in that facility,
18 we would combine an aqueous head-end process
19 to remove the bulk of the uranium from the LWR
20 fuel, a transuranic separation and
21 precipitation to provide fresh feedstock or an
22 electrowinning process that's recycling fast

1 reactor used fuel. It is appropriate that the
2 federal government sponsor and fund such
3 development work.

4 My third topic was a new
5 government entity to manage nuclear fuel and
6 nuclear waste. We believe that a significant
7 change in the way the government discharges
8 its obligations on UNF disposition is
9 necessary. Energy Solutions and many other
10 stakeholders consider that a new entity -- we
11 called it fed-corp in our earlier work --
12 should be created.

13 It will have full responsibility
14 for all aspects of used nuclear fuel
15 management, interim storage, recycling, if
16 that is appropriate, and establish the
17 ultimate repository. It would receive a waste
18 fee from the utilities and not be subject to
19 annual appropriations.

20 A variation of this concept is
21 being proposed in draft legislation by Senator
22 Voinovich recently. We fully support that

1 legislation.

2 Last, but by no means least, I
3 would like to leave you with some thoughts on
4 a different way forward, regional use fuel
5 management facilities. Closing the fuel cycle
6 is an important issue, but we believe it is
7 just part of what we termed a new integrated
8 approach to used fuel management.

9 We all know, perhaps we all hope,
10 that global and national energy and
11 environmental issues are dragging towards a
12 continued and expanded commercial nuclear
13 energy. Disposition of the used nuclear fuel
14 is an issue that we believe must be
15 satisfactorily resolved to sustain that
16 expansion in nuclear energy.

17 Currently, our UNF policy is in
18 transition, but a new commercial-based
19 approach we believe can break that deadlock
20 and enable us to move forward.

21 The realities of the current
22 situation are significant political and

1 commercial uncertainties remain on the timing
2 of a large-scale, i.e., industry or commercial
3 recycling facilities. Any future operational
4 alternative geology disposal site is many
5 decades away.

6 On the questions of timing, Energy
7 Solutions has always been consistent in this
8 view, that the primary drivers for recycling
9 to make sense are economics and strategy, and
10 the key issue is a significant new build
11 program. That may be some ways off, but we do
12 think it is important to have a solution for
13 the UNF now.

14 We could, of course, just leave
15 the nuclear fuel where it is. We know that
16 current at-reactor storage is safe. Or we can
17 try to find a new way forward, and we would
18 urge the Commission to try to find that new
19 way forward.

20 In our vision, this new initiative
21 would comprise three main elements: regional
22 used fuel management facilities, advanced fuel

1 cycle and reuse development, and geologic
2 repository development and deployment.

3 Regional commercial UFMFs, Used
4 Fuel Management Facilities, can provide an
5 effective bridge to an evolving national
6 policy for used nuclear policy. It does not
7 preclude commercial recycling. In fact, such
8 a facility would be an ideal location for a
9 commercial recycling plant, when the time is
10 right.

11 This way forward is based on a
12 strategy that incorporates lessons learned
13 from the many previous initiatives. It would
14 have a phased integrated approach. It would
15 be a competitive, commercial, private sector
16 initiative.

17 Federal government funding for the
18 best approaches, to identify the best
19 approaches from commerce, would be used
20 initially.

21 There would be multiple regional
22 volunteer host facilities. There would be

1 binding agreements with incentives and
2 penalties for those host facilities, but
3 binding between all of the entities taking
4 part in this initiative.

5 There would be comprehensive life-
6 of-facility host benefits. And, of course,
7 this option does provide the flexibility for
8 final disposal options and for continuing the
9 important research and development to find a
10 solution for closing the fuel cycle that is
11 acceptable to industry, to government, and to
12 stakeholders.

13 Regional or centralized bridging
14 integrated used fuel management facilities
15 that begin operation as interim storage
16 facilities and are capable of evolving into
17 advanced technology facilities are needed to
18 relieve the pressure on operating reactors and
19 remove the 4,000 tons or so of fuel that is at
20 the permanently shutdown reactors. And this
21 would restore public confidence that waste
22 from nuclear energy will be responsibly

1 managed. Again, we emphasize that these
2 facilities would be located on volunteer
3 sites.

4 Under such an integrated approach,
5 we might locate substantial technology
6 demonstration facilities that I described
7 above. It would be a significant inducement
8 to the volunteer community.

9 So, to summarize this alternate
10 way forward, we are advocating a phased
11 development approach that starts with the
12 lessons learned from past experiences and
13 includes a balance of technology, social
14 concerns, economics, and politics.

15 The private sector plays a key
16 role. They would build, own, and operate the
17 facilities. It does depend upon volunteer
18 communities, but we think they can be found.
19 It needs an effective process to find those
20 volunteers and build upon existing progress.

21 UNF disposition remains a federal
22 commitment, and there are significant legal,

1 political, economic, regulatory, and social
2 drivers and challenges in order to make
3 progress going forward and enable the
4 government to address their UNF obligations
5 and to support new reactor development within
6 the next few years.

7 Again, we have made available to
8 the Subcommittee a detailed report on this
9 alternate way forward that gives an indication
10 of the cost, the schedule, and discusses
11 significant detailed key aspects and steps
12 necessary to create regional used fuel
13 management centers.

14 This concludes our remarks. Thank
15 you.

16 CHAIR DOMENICI: Thank you very
17 much, sir.

18 The next panelist is Dr. Ed or
19 Edwin Lyman, Senior Scientist at the Union of
20 Concerned Scientists.

21 Dr. Lyman, we welcome you and
22 thank you for giving us your time.

1 DR. LYMAN: Thank you.

2 Do you have my PowerPoint
3 presentation or was it too late?

4 CHAIR DOMENICI: Did you want to
5 do that?

6 DR. LYMAN: You don't have it?
7 Okay.

8 CHAIR DOMENICI: Can we
9 accommodate him?

10 MR. FRAZIER: We could switch the
11 order and load --

12 DR. LYMAN: No, that's all right.
13 I'll just read it. Thanks. I'll provide the
14 PowerPoint --

15 CHAIR DOMENICI: If you want to
16 switch it, it should be fine.

17 DR RESNIKOFF: I have a PowerPoint
18 presentation, too.

19 CHAIR DOMENICI: Oh, well, then we
20 can't.

21 MR. FRAZIER: I'm pretty sure we
22 have yours.

1 CHAIR DOMENICI: Okay, let's go
2 ahead. You can do all right without it?

3 DR. LYMAN: Yes, I'll just read.
4 Thank you.

5 I would like to thank the Chairmen
6 and the Commission for the opportunity to
7 present the views of the Union of Concerned
8 Scientists on this issue.

9 I would just like to say --

10 CHAIR DOMENICI: Go ahead.

11 DR. LYMAN: The Union of Concerned
12 Scientists is not an anti-nuclear
13 organization, nor are we a pro-nuclear
14 organization. We are open to any sensible
15 idea that will help to mitigate climate
16 change, but for that reason, we believe that
17 going from the once-through cycle to a cycle
18 involving reprocessing of spent fuel would
19 actually hinder, rather than help, the
20 development of nuclear power in the world.

21 There's a simple reason for this.
22 This is because reprocessing will, in exchange

1 for a highly speculative reduction in long-
2 term risk, incur significant near-term risks.
3 And these risks include the risk of nuclear
4 proliferation and nuclear terrorism associated
5 with the production of weapons-usable
6 materials and large quantities in commerce,
7 and, also, the increased health, safety, and
8 environmental risks associated with processing
9 spent nuclear fuel.

10 In our judgment, these increase
11 the risk unacceptably in the near-term and,
12 therefore, we do not see any credible path
13 forward for implementing reprocessing,
14 including any of the proposals that we have
15 heard here at the table today, because we do
16 not believe that they would achieve a
17 significant benefit in any of the
18 characteristics associated with waste
19 management. In particular, I would like to
20 focus on three today.

21 The first is that there would be
22 no significant reduction in the inventory of

1 actinides for a very long period of time, and
2 these systems would be very ineffective at
3 achieving that.

4 The second, with regard to waste
5 volume, and I understand that the Commission
6 has already discussed whether or not volume is
7 a relevant characteristic for nuclear waste
8 disposal --

9 CHAIR DOMENICI: Would you state
10 the first one again for everybody?

11 DR. LYMAN: Yes. The first one is
12 that the systems that have been identified to
13 date are very ineffective at reducing the
14 total inventory of actinides in the nuclear
15 fuel cycle. They reduce the inventory at a
16 very, very slow rate.

17 CHAIR DOMENICI: Got it.

18 DR. LYMAN: The second is that the
19 volume reduction in high-level waste
20 generation is marginal associated with any of
21 the processes that we have heard here today.
22 And if you include the volume of additional

1 waste, low-level waste, greater-than-Class-C
2 low-level waste, and other separated
3 materials, that the total volume of waste to
4 be disposed of would significantly increase.

5 And third, there is no significant
6 reduction in the proliferation of nuclear
7 terrorism risk associated with the modified
8 fuel cycle concepts that have been discussed.

9 And in particular, the notion of having
10 plutonium that is not separated from other
11 transuranics provides very marginal benefit
12 with regard to either the risk of theft of
13 nuclear material or the risk that that
14 material can be used directly in a nuclear
15 weapon. That has been demonstrated by
16 National Laboratory studies over the last
17 several years.

18 So, in response to the first
19 question, we do not believe that there's any
20 significant beneficial impact associated with
21 any of the reprocessing strategies that have
22 been identified to date.

1 And with regard to the second
2 question, we do not believe that it is
3 appropriate for the federal government to
4 promote commercial fuel cycle options other
5 than its legal obligation to develop a
6 geologic repository.

7 And another responsibility of the
8 federal government is to set policy and
9 standards through the implementation of
10 regulations, and we believe that it's
11 appropriate for the Nuclear Regulatory
12 Commission to achieve greater safety and
13 security through a policy of expecting new
14 facilities to have significantly greater
15 standards with regard to safety and security
16 than they do today. Unfortunately, the
17 current situation does not reflect that, in
18 that the Nuclear Regulatory Commission's
19 policy is that new facilities need not be any
20 safer than the facilities that exist today.

21 And with regard to security
22 regulations, there is an effort underway to

1 potentially weaken the existing security
2 regulations on special nuclear materials,
3 which would be a step in the wrong direction.

4 And with regard to the
5 effectiveness of recycling strategies, a
6 number of studies, dating back to the National
7 Academy of Sciences' STATS Report in 1996,
8 have demonstrated that, even when you have an
9 actinide recycle system that has very high
10 performance features, you know, it's
11 essentially the perfect system for this
12 objective, that it will take hundreds to
13 thousands of years to significantly reduce the
14 end-process inventory of actinides if the
15 system is working perfectly. And in our view,
16 that is not an effective system to reduce the
17 actinide inventories which advocates of
18 recycling claim is necessary in order to
19 reduce the heat loads to the repository.

20 The most recent study in this
21 regard was done by EPRI, and I understand that
22 those results were provided to you at the last

1 meeting, but I would like to reiterate them
2 because I think they're important.

3 Essentially, implementing a
4 system, again, with nearly perfect
5 characteristics would not lead to a reduction
6 in the existing actinide inventories when you
7 start. In fact, EPRI showed that the total
8 actinide inventory in the system would
9 increase by about a factor of three over where
10 we are today, and then, essentially, would
11 stabilize at about three times the current
12 inventory.

13 And if you compare that to a
14 system where you have constant nuclear power
15 on the once-through basis, it would take
16 hundreds and hundreds of years to reduce the
17 relative actinide inventory by a factor of,
18 let's say 10, which we would consider
19 significant.

20 Now this is important because we
21 believe that the principle of
22 intergenerational equity, which does govern

1 the rationale for having a geologic repository
2 in the first place, is a relevant standard
3 here.

4 The OECD, the Nuclear Energy
5 Agency, has defined intergenerational equity
6 with a number of characteristics. I will just
7 read one.

8 "Those who generate the waste
9 should take responsibility and provide the
10 resources for the management of these
11 materials in a way which will not impose undue
12 burdens on future generations."

13 And with regard to the standard,
14 any recycling approach which takes hundreds or
15 thousands of years to actually achieve a
16 significant reduction of actinide inventories
17 fails the intergenerational equity test
18 because we are imposing the burden on future
19 generations to continue to build and operate
20 the same facilities that we have today and
21 incur the accompanying increase in risk to
22 health, safety, proliferation, and terrorism.

1 So, we simply think that these
2 systems, because of their slow, sluggish
3 ability to actually impact actinide
4 inventories, do not meet the intergenerational
5 equity test.

6 With regard to the question of
7 volume, I would just like to point out that
8 the technologies that have been identified do
9 not have the significant impact on the volume
10 of high-level waste.

11 Putting aside for the moment
12 whether or not volume is a particularly
13 relevant characteristic for nuclear waste
14 disposal, something like the PUREX or COEX
15 processes pursued by AREVA do not have the
16 significant impact on the reduction of high-
17 level waste volume. In fact, calculations
18 based on French estimates indicate the
19 reduction in volume of high-level waste is
20 only about a 20 percent reduction compared to
21 the volume of the initial spent fuel, which,
22 again, we don't regard as significant.

1 With regard to proliferation and
2 theft-resistance, the question that needs to
3 be addressed is: are there any credible
4 alternatives to PUREX that would be
5 substantially more proliferation- and theft-
6 resistant and would not significantly raise
7 the risks of nuclear proliferation and nuclear
8 terrorism relative to the once-through cycle?
9 And if such an approach can be found, would
10 the technology be secure enough to transfer it
11 freely to any country that wants it? And on
12 what basis could the U.S. deny its transfer,
13 if it is deemed to be proliferation-resistant?

14 The solution to this is that, like
15 Mr. Hanson said, proliferation-proof recycle
16 doesn't exist. We would also say
17 proliferation-resistant recycling doesn't
18 exist. And whether it's UREX-plus or COEX or
19 pyro processing, the results of recent studies
20 have indicated that there is no significant
21 reduction in the self-protection -- or
22 increase in the self-protection of these

1 materials if you mix them with transuranics.

2 And in fact, those mixtures
3 themselves are still attractive for weapons.
4 Even if they're directly used in nuclear
5 weapons, those mixtures are still attractive.
6 And I would refer you to the National Lab
7 study that was conducted by Charles Bathke
8 that I hope you will consider very seriously
9 in these deliberations.

10 And I hear the beep, so I'll stop
11 there. Thank you.

12 CHAIR DOMENICI: I want to thank
13 you very much for your time, your effort.

14 Our last witness on this panel is
15 Dr. Marvin Resnikoff, Senior Associate of
16 Radioactive Waste Management Associates.

17 We welcome you, and we're glad to
18 hear from you.

19 DR. RESNIKOFF: I'm pleased to be
20 here, Mr. Chairman.

21 You didn't ask me who we are.

22 CHAIR DOMENICI: Does anybody care

1 to ask him that question?

2 (Laughter.)

3 DR. RESNIKOFF: Oh, good. What
4 should I do? Just wave my hand when you
5 should transfer to the next slide? Oh,
6 thanks.

7 I'm familiar with the West Valley
8 plant. That's where I started investigating
9 nuclear fuel reprocessing back in 1975 as a
10 volunteer for the Sierra Club.

11 There was much euphoria when the
12 West Valley plant was sited. The Governor
13 stated that it would make major contributions
14 to the State economy, but little did he
15 realize that it would all be negative.

16 That is to say, the State may
17 spend up to \$1 billion attempting to
18 decommission the site, of the \$9.4 billion
19 which is estimated for the cleanup.

20 Just to relate what the economics
21 of the West Valley site were, the plant cost
22 \$32.5 million to construct in 1963 dollars,

1 much of it backed by the State. The plant
2 processed 625 tons of fuel, brought in revenue
3 of \$22 million, and the estimated cost to
4 decommission the site is \$9.4 billion, if all
5 goes well.

6 The local residents are not happy
7 with the level of decommissioning. They would
8 like the waste tanks removed as well.

9 Some of these points have been
10 already emphasized by Dr. Lyman, but let me
11 just say that perhaps the primary purpose of
12 plutonium recycling is not to solve the waste
13 problem. Perhaps the primary purpose is to
14 remove the fuel from reactor sites to
15 somewhere else, convert it to high-level
16 waste, but it won't solve the waste problem in
17 the end.

18 Concerning volume reduction,
19 chemicals must be added to nuclear fuel in
20 reprocessing in order to separate out
21 plutonium from uranium. At West Valley, the
22 final volume was approximately 25 times the

1 initial volume that was brought into the
2 facility. And this doesn't include the sludge
3 waste that still remains at the bottom of
4 high-level waste tanks that the Department of
5 Energy does not intend to remove. With an
6 advanced fuel cycle, more chemicals must be
7 added, so the volume would even be greater.

8 The repository size is primarily a
9 function of the heat, initial heat, and also
10 the time for cooling the fuel. And
11 reprocessing will do little to affect that,
12 because it's primarily cesium and strontium
13 that have to be reduced before the volume can
14 be reduced at the waste repository. So
15 whether it's MOX fuel or whether it's just
16 ordinary uranium fuel, the repository size is
17 going to remain the same.

18 A self-sustaining plutonium
19 recycle program uses one-third MOX fuel, two-
20 thirds uranium fuel in the reactor, in a light
21 water reactor. So, the actual saving of
22 uranium pertains to the one-third portion.

1 A lot of these issues actually
2 were brought up in the GESMO proceeding before
3 the NRC in 1980, as you know, Dr. Carnesale.

4 Because of the buildup of
5 uranium-236 in uranium, which is a neutron
6 poison, and the low uranium-235 content of
7 recycled uranium, the uranium in MOX fuel is
8 not recycled. So uranium is essentially a
9 waste product.

10 The advanced fuel cycles
11 essentially will remove americium, curium,
12 neptunium, and will separately burn these
13 materials. The separation must be very clean.
14 And in addition, one must have fuel-burning
15 americium, curium, cesium, and neptunium fuel-
16 burning reactors in order to remove these
17 materials. Once they are removed in the
18 reprocessing stage, one has to burn them, and
19 one has to burn them in these high-flux
20 reactors. Tom Cochran is going to talk about
21 the viability of breeder reactors in his talk.

22 In a 10-minute talk, I don't have

1 the time to discuss the initial steps required
2 and the level of separation required to lower
3 the toxicity of high-level waste in the long-
4 term, but I have attached a paper that
5 discusses the matter in more detail.

6 Fission products must also be
7 dealt with in separating the high-level waste,
8 and iodine-129 is the most difficult to
9 capture in a reprocessing operation. And if
10 it's separated, then what? What does one do
11 with the iodine-129? As a very small neutron
12 cross-section, one can't really reduce, one
13 can't really separate -- what am I trying to
14 say? One can't really change iodine-129 to
15 iodine-131, which has an eight-day half-life,
16 because it has such a small neutron cross-
17 section. So what does one do with iodine-129,
18 even once you separate it?

19 My conclusion is the poor
20 economics and the difficulty of siting a
21 commercial reprocessing operation, because of
22 the experience at West Valley, means that only

1 a government operation is going to be
2 possible. The cost of West Valley at \$32.5
3 million has now been escalated in recent
4 reports to \$6.7 billion for a reprocessing
5 operation. So, economically, it does not make
6 sense to reprocess fuel.

7 But I see the push for
8 reprocessing as a means of simply removing the
9 spent fuel from reactor sites, but not as a
10 means of solving the waste disposal problem.

11 The Commission should recommend to
12 the President separation of these minor
13 actinides. Transmutation has been suggested
14 as far back as 1975 in a classic paper by
15 Claiborne, and not much progress has been made
16 since. So my recommendation is the Commission
17 should recommend to the President that, after
18 35 years of funding for plutonium recycle and
19 separation of minor actinides and
20 transmutation, that program should cease.

21 For various reasons, it makes more
22 sense to store spent fuel in hardened storage

1 at reactor sites, allowing the heat-producing
2 radioactivity to decay away.

3 Thank you, Mr. Chairman.

4 CHAIR DOMENICI: Thank you very
5 much.

6 Now we will keep the panel here
7 for a little while, while the members of the
8 Commission, if they desire, inquire of any of
9 you or all of you. I'll start with a few
10 softballs and let some of these other people
11 give you some zingers. Okay?

12 (Laughter.)

13 Are the current federal or state
14 policies that either assist us in achieving or
15 hinder our ability to achieve goals, are there
16 policy options that could, if enacted, further
17 assist us in achieving these goals?

18 Let me go back and talk about the
19 goals for a minute. From the panelists'
20 perspectives, what are the most important
21 social goals that new nuclear reactors and
22 fuel cycle technology can help us achieve?

1 And what are the policy goals that currently
2 impact decisions about nuclear power?

3 Do you want to start, either Dr.
4 Hanson or the second person?

5 DR. HANSON: With regard to
6 policy, at the conclusion of my statement I
7 alluded to what I thought was the most
8 important thing that needs to be done. After
9 40-some years of nuclear power development in
10 the United States, we have, in fact, made some
11 progress towards waste disposal, but, in fact,
12 very little.

13 I think part of the reason for
14 that is we are trying to have a government
15 agency operating in a political environment
16 accomplish an industrial/commercial type of
17 activity, a large-scale engineering project,
18 and a government department or a ministry in
19 a parliamentary system is not the adequate
20 vehicle in order to do that.

21 The places in the world where we
22 have seen successful waste management programs

1 are ones in which the responsibility for waste
2 management has been delegated by the
3 government to either some sort of semi-
4 government organization or to the private
5 sector, and given them the latitude to go
6 ahead and solve the problems.

7 I think this is certainly true in
8 France, in Finland, in Sweden, and I think
9 that we ought to follow that example and
10 change the policy in the United States to
11 remove the responsibility for industrial work
12 from the current Department of Energy.

13 CHAIR DOMENICI: Thank you very
14 much.

15 Anybody else want to try? I'm
16 trying to get at the most important societal
17 goals that new nuclear reactors and fuel cycle
18 technologies can help us achieve. What are
19 the policy goals that currently impact
20 decisions about nuclear power?

21 MR. FULLER: Yes, Senator, let me
22 take a shot at it.

1 CHAIR DOMENICI: Please.

2 MR. FULLER: My view is the No. 1
3 impediment to expanding nuclear power in the
4 United States is the issue of the fuel.

5 CHAIR DOMENICI: Issue of what?

6 MR. FULLER: Is the issue of the
7 spent fuel coming out of the reactors. Until
8 we solve that, and we solve it in a fashion
9 that gives the public a certainty and a safety
10 factor and a confidence that we can do that in
11 a proper way, I think we're going to be at an
12 impediment of expanding our nuclear fleet.

13 It's currently at about 20 percent
14 of the U.S. energy generation in the U.S. It
15 probably should be 40 percent or 50 percent to
16 provide energy security for our country going
17 forward.

18 So I think this policy issue is to
19 provide a long-term vision from the government
20 that spans multi-generations of the political
21 environment, that says here's where we need to
22 go, here's how we're going to go there. And

1 once the public, the general public, has that
2 clearly understood and accepts it, I think we
3 can move on with not only solving the used
4 fuel activity, but expanding the nuclear
5 activity in this country, and coming again to
6 the forefront of the technology.

7 We have the ability to innovate
8 the technology. We just don't have the will
9 right now. So, that's what I would like to
10 see from a policy point of view.

11 CHAIR DOMENICI: Very good.

12 Dr. Jackson?

13 DR. JACKSON: Well, I think I
14 would echo what Mr. Fuller said. I think that
15 nuclear power offers the opportunity to
16 provide a solid foundation for a low-carbon
17 economy, and growing that footprint of nuclear
18 is important, but absolutely dealing in a
19 coherent way with the used fuel is critically
20 important and having it be a publicly-
21 acceptable solution.

22 So the expansion of nuclear power

1 is critically important to be able to provide
2 a strong baseload to integrate all kinds of
3 renewables and other environmentally-
4 beneficial kinds of energy supply for a strong
5 economy in the United States, but beyond that,
6 leading technology and developing standards
7 are critically important.

8 Notwithstanding what the United
9 States decides to do, there will be
10 technologies developed. So developing those
11 technologies that are best used to be able to
12 handle some of these challenges I think is
13 critically important.

14 So establishing a federal policy
15 that survives multiple election cycles is
16 crucially important. So, for that reason, we
17 are, in addition, supportive of some sort of
18 federal corporation.

19 I worked for the Tennessee Valley
20 Authority for 17 years, and so I'm quite fond
21 of the Tennessee Valley Authority's ability to
22 be able to integrate the public's needs,

1 multiple constraints, managing in an
2 integrated way, and design a set of policies
3 that can be implemented in a flexible way over
4 a long, long period of time.

5 CHAIR DOMENICI: Does somebody
6 else want to comment?

7 MR. DOBSON: If I could, I agree
8 with everything that has been said. I would
9 just like to draw one important point, a
10 distinction.

11 So I do think it is important,
12 Energy Solutions believes it is important to
13 create a new government entity, the fed-corp,
14 as we described it, to deal with the used
15 nuclear fuel.

16 And we do absolutely agree that
17 dealing with used nuclear fuel is the pressing
18 issue with regard to a large expansion in
19 nuclear power. But you don't need both.
20 Sorry, we need to do both, but the second is
21 not dependent on the first, is the point I
22 want to make.

1 So we could press ahead with
2 regional used fuel centers without the
3 creation of fed-corp, although I would say the
4 creation of that new government entity is very
5 important.

6 CHAIR DOMENICI: Got you.

7 Dr. Lyman?

8 DR. LYMAN: If I may, I would just
9 like to reiterate. One of our chief goals is
10 to prevent an expansion of the risk of nuclear
11 terrorism and nuclear proliferation. Nuclear
12 power is a dual-use technology, and those
13 risks really need to be tightly controlled, if
14 we are going to be able to see an expansion.

15 So, to that end, we do believe
16 that the decision made by the United States
17 many years ago to forego reprocessing has had
18 a beneficial impact on keeping that, the
19 threat, in check. We are concerned that a
20 reversal of that policy could have an
21 extremely negative effect, especially on the
22 rest of the world, by signaling to them that

1 reprocessing is a desirable or worthwhile
2 process to undertake, which could lead to
3 losing control over the technology around the
4 world.

5 So, to that end, we would think
6 that the best thing the United States could do
7 is to demonstrate the viability of a process
8 for developing a geologic repository for
9 direct disposal of spent fuel, to show that it
10 is technically and politically feasible. And
11 that signal could help resolve some of the
12 confusion with regard to the disposal of
13 nuclear waste that's plaguing us today.

14 Thank you.

15 CHAIR DOMENICI: I appreciate your
16 observation very much, Doctor.

17 I would like to say, however, it
18 appears to me that, while we sit around and
19 think about this issue, the world is moving
20 ahead with the development of nuclear power
21 plants. The United States has some problems
22 in doing it. Hopefully, this Commission will

1 clarify something and say what our policy
2 should be.

3 But you would have to agree with
4 me that with China having maybe 13 power
5 plants, and around the world you can identify
6 them, it looks like we can talk all we want
7 about this, doing what you recommend, but the
8 world isn't going to do that. They're moving
9 ahead rather rapidly.

10 DR. LYMAN: Well, I do believe
11 that we do have the opportunity to influence
12 policy through a variety of means. I don't
13 agree with the argument that we need to engage
14 in reprocessing ourselves to be able to
15 influence other countries.

16 CHAIR DOMENICI: Oh, yes, I didn't
17 say that. I said something else.

18 DR. LYMAN: But I do believe that
19 the U.S. actually has a number of tools at its
20 disposal which it chooses not to use to try to
21 limit the spread of nuclear weapons-usable
22 materials.

1 For instance, much foreign spent
2 fuel is U.S.-obligated. Under the Nuclear
3 Non-Proliferation Act, we, if we chose to,
4 could impose significantly greater obligations
5 on those countries. Yet, in many cases we
6 have weakened those obligations and not used
7 the tools we have.

8 CHAIR DOMENICI: Let's see, Al,
9 did you have another question?

10 MEMBER CARNESALE: Dr. Hanson,
11 maybe you can help me understand a little bit
12 with putting together that only 4 percent of
13 the fuel is waste, together with you said it
14 would reduce uranium need by 25 percent, not
15 by 96 percent. You said that 30 percent of
16 the plutonium would be burned, not 100
17 percent. So I'm trying to figure out, what is
18 it 4 percent of that it's only 4 percent,
19 rather than a much higher number?

20 DR. HANSON: The 4 percent
21 consists of all of the fission products plus
22 the minor actinides, the higher isotopes above

1 plutonium.

2 MEMBER CARNESALE: What about all
3 the uranium?

4 DR. HANSON: The uranium is
5 removed and recycled into fuel.

6 MEMBER CARNESALE: Well, then, how
7 come it's only reducing uranium need by 25
8 percent?

9 DR. HANSON: Because it's the 235
10 content that is recycled, remember, not the --

11 MEMBER CARNESALE: So it hasn't
12 reduced the waste down to 4 percent?

13 DR. HANSON: Yes, it has. It has
14 reduced the waste which must go into the
15 geologic repository by a large volume, not the
16 20 percent we've heard here --

17 MEMBER CARNESALE: Yes.

18 DR. HANSON: -- but 75 percent,
19 yes.

20 MEMBER CARNESALE: Yes.

21 DR. HANSON: Not 90 --

22 MEMBER CARNESALE: Not 96 percent.

1 DR. HANSON: It's closer to 75
2 rather than 96.

3 MEMBER CARNESALE: At most. Okay.
4 Well, that helps me with the fact.

5 Then I would like to ask about
6 reprocessing. One of the problems we have is
7 this misinterpretation of what the U.S. policy
8 was that came under the Ford and Carter
9 Administrations. It did not prohibit
10 reprocessing. It said the United States
11 Government would not pay for it. It permitted
12 reprocessing, but the U.S. Government wasn't
13 going to pay for it.

14 I would like to understand, do any
15 of you believe that today that recycling and
16 reprocessing in light water reactors is
17 economically attractive without government
18 subsidy? Do any of you believe that it is?

19 MR. FULLER: If you take the
20 Japanese model right now, the Japanese are
21 using mixed oxide fuel in light water
22 reactors.

1 MEMBER CARNESALE: Yes.

2 MR. FULLER: It is very costly.

3 It is not supported by government. They are
4 paying for it through the utilities, through
5 the TEPVO and the JAPC and such. They have
6 decided that the economics are secondary to
7 the reprocessing activity. So that's the way
8 I would answer that.

9 MEMBER CARNESALE: Right. That is
10 an answer to a different question. But in
11 terms of economically attractive, it is not.
12 That was my understanding. There may be other
13 reasons for doing it. Don't get me wrong.
14 But that is something that has not changed.

15 And finally, I would like to ask,
16 with regard to the economics of nuclear power
17 today, there are many reasons for its being
18 attractive, low carbon, et cetera, but it is
19 my understanding that it is not economically
20 attractive, that it, too, requires government
21 subsidy compared to carbon fuels. Lots of
22 disadvantages of carbon fuels, but is there

1 anybody who believes that building and fueling
2 nuclear plants today would be cheaper over the
3 long-term, if you had to pay for the whole
4 thing over the long-term, than continued
5 burning of fossil fuel or, in particular,
6 adding, say, a natural gas plant?

7 MR. FULLER: Just a wonderful
8 debate. If you take the current nuclear fleet
9 in the United States, because of the age of
10 that fleet and the operation, the capacity
11 factors, and the fact that today it's into a
12 maintenance and fueling load, it is the least
13 expensive --

14 MEMBER CARNESALE: Oh, I know.
15 That's not my question.

16 MR. FULLER: -- form of
17 generation.

18 MEMBER CARNESALE: Excuse me.
19 It's not my question. My question is --

20 MR. FULLER: If you take --

21 MEMBER CARNESALE: -- adding a
22 plant --

1 MR. FULLER: If you take the
2 future fleet, the key question is not what the
3 initial cost is of a new nuclear plant.

4 MEMBER CARNESALE: Right.

5 MR. FULLER: It is, what is the
6 cost of the carbon-based fuels that it
7 competes against?

8 MEMBER CARNESALE: Yes.

9 MR. FULLER: So, if the gas prices
10 are very low, like they are today, it makes no
11 sense. If the carbon or the gas prices go up
12 above a certain level, you suddenly find that
13 nuclear becomes the option.

14 The fact is that it takes five to
15 eight years to place a nuclear plant in place,
16 and most utilities will not take on that risk
17 without some certainty around it, which goes
18 back to government guarantees.

19 But in the long-term over 60
20 years, I think if you look at any kind of
21 generation, you will find that nuclear is
22 probably the least expensive over that

1 timeframe because of the fluctuations in the
2 hydrocarbon markets, et cetera.

3 MEMBER CARNESALE: Because of what
4 you expect to happen to the price of gas?

5 MR. FULLER: What may happen or
6 doesn't happen, that's the problem. As a
7 businessman, what I would do is say it all
8 depends on how you project that future.

9 MEMBER CARNESALE: Yes, but I
10 haven't heard any utility that is interested
11 in building a nuclear power plant without
12 government subsidy, whether in the form of
13 loan -- by the way, this is not a negative
14 statement about nuclear power. There are
15 other reasons for doing it. I just want to be
16 careful --

17 MR. FULLER: I think to clarify
18 that, it is no utility --

19 MEMBER CARNESALE: -- to make sure
20 we don't -- this industry has a long history
21 of overpromising that has gotten us in big
22 trouble. I want to make sure we don't make

1 that mistake again.

2 MR. FULLER: I think that's fair,
3 but that's no utility in the U.S. There's
4 utilities outside the U.S. that have decided
5 to implement nuclear power because of
6 government policy, because of carbon issues,
7 because of other issues, and they are
8 economically placing those plants into
9 operation such as in Japan right now.

10 DR. HANSON: If I might add, and I
11 don't want to get into a big debate about
12 nuclear power, but one of the problems is you
13 use the word "economical". What does that
14 mean?

15 The implication is that is the
16 lowest cost, that it is cheaper than anything
17 else. That is not the definition of
18 economical. People make decisions all the
19 time about what they purchase and what they
20 invest in based on cost and all kinds of other
21 factors.

22 If we want a subsidy-free, lowest-

1 cost generation in the United States, we
2 should continue to burn coal as fast as we
3 possibly can, and they should do the same
4 thing in China. And I don't think anybody
5 wants to see that done.

6 MEMBER CARNESALE: I agree with
7 you. That's why in my question I said there
8 are other reasons for doing it. I want to
9 separate out the economics.

10 DR. HANSON: The same is true, by
11 the way, of recycling. It is economical in
12 the sense that the difference between throwing
13 away the fuel and doing thermal recycle is in
14 the single digits. It may be plus or minus 5
15 or 6 percent, which is our experience in
16 Europe. It may be less; it may be more. But
17 this is not a deal-breaker with regard to
18 doing recycling.

19 DR. RESNIKOFF: Dr. Carnesale, I
20 just wanted to reiterate a point that you
21 made. What you said about nuclear power
22 plants applies more so to reprocessing plants.

1 There's no one who is going to have a
2 reprocessing plant unless it's government-
3 subsidized. No one is going to put up \$6.7
4 billion with the risk involved, unless there's
5 a government subsidy.

6 MEMBER CARNESALE: I want to make
7 it clear that there clearly are other reasons
8 for doing it, and I understand that. I just
9 want to be careful that we don't confuse the
10 issues and have it appear that we are doing it
11 for economic reasons as opposed to for these
12 other reasons.

13 CHAIR DOMENICI: My Co-Chairman
14 would like to proceed with a few questions
15 now.

16 CHAIR PETERSON: Thank you.

17 Actually, the question that I
18 would like to bring before this panel follows
19 from Al's question, and it relates to the
20 questions associated with first-of-a-kind
21 risks and first-of-a-kind costs and first-
22 mover issues and market failures associated

1 with free-rider problems.

2 The reason I would like to bring
3 this question before the panel is because we
4 have three representatives who are from
5 companies that have been actively involved in
6 the construction of nuclear reactors or
7 licensing of new reactor designs here in the
8 United States, and therefore, have experience
9 from that perspective.

10 And I think this is an important
11 issue within the nuclear field. As I
12 mentioned in the opening, there are other
13 heavily-regulated technologies where the
14 United States is clearly a leader in the
15 world, such as commercial aircraft, drugs,
16 medical devices.

17 So one question would be, what are
18 some of the things that differentiate nuclear
19 energy as a technology that may tend to make
20 it much harder for first-movers to bring
21 better technologies to bear?

22 And I would like to focus on a

1 specific example that actually comes from the
2 AP1000 licensing process. Actually, it is
3 interesting because it is analogous to
4 something that was happening back early in the
5 last century.

6 It turns out that what we now call
7 safety glass was invented in France in 1903.
8 And for those who aren't familiar, safety
9 glass is what you get when you laminate two
10 sheets of glass together with a sheet of
11 plastic in between them.

12 There was a French scientist,
13 Edward Benedictus, who observed -- there was
14 a flask in his laboratory that he had been
15 mixing some materials in, and it had dried out
16 rather than being properly cleaned. And his
17 assistant knocked it to the floor and it fell
18 down and it broke, but it didn't fall apart
19 because there was a layer of plastic on the
20 inside.

21 Actually, this was a huge
22 observation. He patented it. It was not

1 applied in automobiles for another quarter of
2 a century. And it was in 1927, actually, that
3 Henry Ford brought this technology into the
4 Model A. Of course, today we take for granted
5 safety glass as a technology.

6 So now we can fast-forward to
7 today, and we have a similar issue with
8 reinforced concrete. Reinforced concrete is
9 actually a brittle material. We use it in
10 nuclear power plants, and we make them
11 extremely thick and robust because of the fact
12 that there is a limit to the strength.

13 If one, instead, sandwiches the
14 concrete between steel plates, which is
15 referred to as steel-concrete composite
16 construction, then the concrete will behave as
17 a ductile material and you can move the
18 manufacturing into a factory environment,
19 which has a whole host of implications because
20 now you have materials that will behave in a
21 ductile way, even when they are driven to
22 substantial limits, say in an accident.

1 And this is a technology that
2 Westinghouse has actually now implemented in
3 the AP1000. I think it involves some pain
4 getting it licensed because Westinghouse is
5 the first-mover.

6 The Koreans are coming behind in
7 their design with exactly the same technology.
8 They will have a much easier time.

9 So this, I think, is a serious
10 issue. Maybe I would like to ask Kate to
11 comment a little bit about some of the issues
12 of bringing something new into the nuclear
13 field versus other industries, and perhaps
14 what might be some solutions to make this less
15 of a barrier, so that we see more rapid
16 innovation.

17 DR. JACKSON: Well, I think one of
18 the reasons that the nuclear industry has been
19 so successful at improving its operations and
20 improving the availability and capacity factor
21 of plants and reducing the amount of safety
22 and security problems has been its track

1 record, its examining operating performance,
2 its sharing of lessons learned. It's based on
3 history.

4 So all of those long-term data and
5 access of those data drive what we do in the
6 future, both from the design perspective and
7 the licensing perspective, but also the
8 operating perspective.

9 So we all rely on that history,
10 and the regulator relies on that history. As
11 a result, the regulatory process looks back,
12 as does much of law, into precedent and to
13 find what works and what doesn't work and how
14 you can address new challenges in design and
15 technology development, given that historical
16 background.

17 So, when you try something new
18 that will clearly solve problems, and it's
19 technically-acceptable, the NRC still needs to
20 look back and ensure that there are standards
21 acceptable, so that it can ensure public
22 safety. That's critically important. It is

1 painful.

2 The AP1000 not only did the
3 composite construction, but, in addition, the
4 modular construction, which is essentially
5 Lego-building, which decreases that time. We
6 talked about eight-year construction of a
7 plant. The Chinese are going to do it in
8 three.

9 So, as we have transferred
10 technology for that modularity, that has
11 driven lots of opportunities. The AP1000, in
12 addition, because of its passive safety, we
13 took almost a decade to really -- we say it in
14 a flip way -- but to license gravity.

15 So those things that we know will
16 work, you have to show that it will work in an
17 integrated way in a very complex systems
18 design. And because the cycle times are so
19 long for development and the technologies are
20 complicated, and they are incredibly
21 expensive, it is difficult for any one vendor
22 to invest in that long-term, which is why I

1 said it is crucially important early-on in the
2 technology development cycle to have the
3 federal government have a greater portion of
4 that investment risk, until the clear goals
5 are established and then industry can take
6 over and deliver products and solutions to the
7 marketplace.

8 CHAIR PETERSON: So, to emphasize
9 that this is an area where you cannot patent
10 an NRC decision to license something that's
11 new, such as a new approach for a control
12 room, if you're talking about small modular
13 reactors, or in this case a new construction
14 technology that is something that is very
15 difficult to patent any element of it.

16 And therefore, the effective
17 approach to bring innovation in the market is
18 to provide some federal cost-share and
19 subsidy, which goes, I think, to also address
20 Al's question about the issue of building the
21 first few nuclear plants. When you have
22 first-of-a-kind risks associated there, and

1 you have utilities that will probably say they
2 want to be No. 2 in constructing nuclear
3 plants, this is an issue.

4 But I think it also gets to -- and
5 I'll transfer the question over to Ed Lyman --
6 this question of, how do you set higher
7 expectations and how do you improve these
8 technologies, so that the new generations are
9 substantially better than the previous ones,
10 given that you have these difficulties for
11 vendors to bring anything new into the NRC?

12 Would you agree that at least some
13 type of federal cost-share for companies that
14 are bringing new technologies is an
15 appropriate way to incentivize better
16 technology to get into the market?

17 DR. LYMAN: Thanks, Per. I would
18 like to speak on a personal basis, as opposed
19 to representing UCS because I think there are
20 probably a diversity of views in the
21 organization.

22 But I do believe that in order to

1 achieve significant increases in safety and
2 security, that it is appropriate to raise
3 standards across the board. And to the extent
4 that those could lead to features that are
5 non-competitive, in other words, if you have
6 to pay extra to goldplate a nuclear power
7 plant, then it might be appropriate for some
8 sort of government assistance to ensure that
9 that additional significant level of safety is
10 something that can be built and operated and
11 will work.

12 But the first step is really to
13 have a policy that strives for significant
14 improvements in the next generation of nuclear
15 power plants as opposed to the current policy
16 of the Nuclear Regulatory Commission, by not
17 requiring that the new generation of nuclear
18 power plants is significantly safer than the
19 current generation. I think that plants,
20 certain plants, have been penalized for
21 introducing safety features that are not
22 absolutely required by the current regulations

1 and that are more expensive. And as a result,
2 we may see a loss of market share to those
3 plants that do have those additional features
4 to ones where they have cut corners or
5 essentially maintained the same level of
6 safety as current plants.

7 So the first step needs to be a
8 clear policy by the NRC to see across-the-
9 board improvements of safety. Well, of
10 course, if there is a level playing field,
11 there may not be a need to help subsidize the
12 better performers.

13 CHAIR DOMENICI: Thank you very
14 much.

15 Now I am going to note that the
16 various Commissioners have sought to ask
17 questions, and I'm not sure how much time we
18 have. But let me state them, so that we know
19 up here.

20 The General wants to ask a
21 question, and he's next. Then Allison wanted
22 to ask a question, Phil Sharp, and Susan

1 Eisenhower. We'll go in that order. Mr.
2 Chairman, you're next.

3 MEMBER SCOWCROFT: I just have a
4 quick question for Dr. Lyman. That is the
5 real nature of your opposition to recycling
6 and reprocessing. I applaud your concern of
7 proliferation.

8 Suppose we dealt with
9 proliferation by internationalizing the fuel
10 cycle, so that we stopped national enrichment
11 of uranium, national reprocessing. Would you
12 still oppose reprocessing and recycling as a
13 way to improve the effectiveness of the fuel
14 cycle?

15 DR. LYMAN: Thank you for your
16 question.

17 We don't oppose the attempts to
18 try to get greater international control over
19 the fuel cycle. So far, they haven't been all
20 that well received by a lot of countries
21 around the world, which is frustrating.

22 We believe that is an appropriate

1 model for uranium enrichment, if it could be
2 implemented, but we don't think that those
3 arrangements would necessarily reduce our
4 concerns with regard to reprocessing.

5 It depends on how you arrange the
6 fuel cycle. But to the extent that you
7 continue to have to transportation of weapons-
8 usable fuels to countries with power plants,
9 the increased transportation risk associated
10 with transporting MOX fuel, for example, would
11 remain a concern that would not be necessarily
12 addressed by internationalizing the fuel cycle
13 facilities themselves.

14 CHAIR DOMENICI: Thank you for the
15 question, General, and thank you for the
16 answer.

17 But let's proceed now. Allison,
18 you're next.

19 MEMBER MacFARLANE: Okay, great.
20 Thanks. I will limit myself to three
21 questions for three of you.

22 So the first one is to Alan. Just

1 in general, I think back to Al's question,
2 part of public acceptance, which a couple of
3 you mentioned as being important, is good
4 economics. So just keep that in mind. It's
5 not just that it has to be safe, but if you
6 want something to be acceptable to the public,
7 you have to make the cost good, too.

8 Alan, I was interested in, first
9 of all, why you are shying away from advanced
10 reactors, fast reactors in particular, and
11 what some of your critique is there.

12 Then, secondly, back to the volume
13 question, I will reiterate from the point of
14 view that volume is not the relevant unit of
15 measure. But I'm interested in what you
16 propose that the U.S. do with its spent MOX
17 fuel, which, by the way, over the long-term
18 gives off three times the heat of spent LEU
19 fuel. And therefore, it takes up three times
20 the capacity in the repository. And that's my
21 first question.

22 DR. HANSON: I assume when you

1 said "Alan", you meant Alan Hanson since we
2 have two Alans.

3 MEMBER MacFARLANE: Oh, I'm so
4 sorry. Yes, Alan Hanson. Sorry. I don't
5 know Alan Dobson, but I do know Alan Hanson.

6 DR. HANSON: Okay. Fast reactors,
7 I wouldn't say that I'm shying away from them.
8 I started my career looking at fast reactors
9 over 35 years ago. They remind me a little
10 bit of fusion. They're always just a decade
11 or two away from successful implementation.

12 I believe that in the end we will
13 find a way to make them work. They are still
14 not economical compared to light water
15 reactors. They are pretty far from it. But
16 that doesn't mean they can't be made
17 economical.

18 It's a challenging technology, and
19 it's one of those examples with regard to
20 leapfrogging. If we're going to leapfrog, we
21 would skip Generation-3+ thermal reactors, and
22 utilities would be building fast reactors.

1 And I don't know a single utility who would
2 touch a fast reactor anytime soon with or
3 without subsidies.

4 MEMBER MacFARLANE: Why
5 specifically is it a challenging technology?

6 DR. HANSON: It's a challenging
7 technology because of the reactivity of the
8 fuel, the nature of the coolant, the materials
9 that need to be used to contain that coolant,
10 and I think very important from the
11 operations, the fact that the coolant is
12 opaque. There are a lot of issues that need
13 to be dealt with that are very sophisticated
14 in order to make this technology work well.

15 With regard to volume reduction,
16 you were right on a per-unit basis the
17 increase in the heat load from the fuel goes
18 up. However, it takes seven or eight light
19 water reactor fuel assemblies in order to make
20 one MOX assembly. So you've got a one-seventh
21 reduction of the volume if you were to bury
22 those assemblies. So you can space them seven

1 times further apart, which easily takes care
2 of the increased heat load on a unit basis.

3 You need to look at volume and you
4 need to look at heat together. And by the
5 way, I'm not suggesting that we bury MOX fuel.
6 It is not the intention to do that in France.
7 The used MOX fuel will either be used at
8 feedstock for those fast reactors when they
9 become available or there will be multiple
10 recycles carried out in order to reduce the
11 volume even further.

12 MEMBER MacFARLANE: Okay. The
13 next question for Mr. Dobson.

14 You mentioned that there are
15 potential problems with integrating thermal
16 and fast reactor fuel cycles. What are they?

17 MR. DOBSON: It's the problem of
18 scale, and we are making the assumption that
19 we want to deal with all the used nuclear
20 fuel.

21 MEMBER MacFARLANE: Yes. So let's
22 hear more about that.

1 MR. DOBSON: Well, you've got --

2 MEMBER MacFARLANE: What are the
3 problems with dealing with all that huge
4 stockpile of very old now, used nuclear fuel?

5 MR. DOBSON: Well, the problem of
6 age, that's not the challenge. The problem
7 is, quite simply, this: that the concept is
8 we have a large number of thermal reactors,
9 and eventually fast reactors will be
10 demonstrated, for the reasons that have
11 already been spoken to, to be commercially-
12 viable. We will get to a point where they
13 become commercially-viable. You know, the
14 reactor companies will develop solutions to
15 today's problems.

16 So we have a large amount of LWR
17 fuel, and we want to put that material through
18 a fast reactor cycle. So we just need to
19 remove the uranium, the large quantity of the
20 bulk uranium, and separate that. And it's
21 more economic to do that, from our analysis
22 and information, in an aqueous system than it

1 is in a non-aqueous pyro system.

2 So we propose a head-in process to
3 take the uranium out and separate the
4 transuranics, and provide the feedstock, the
5 transuranic feedstock to go into the fast
6 reactor cycle.

7 MEMBER MacFARLANE: Okay, great.

8 And finally, for Ed, in your
9 little one-pager, or whatever, there are a
10 couple of things I had a question on.

11 One, I wanted you to tell me a
12 little bit more about, in a comparative sense,
13 why pyro processing, in your view, is as bad
14 as the aqueous processes.

15 And then, secondly, you talk about
16 reactor concepts that can achieve high rates
17 of internal conversion and fission without
18 reprocessing and recycling. What are those
19 reactor concepts?

20 DR. LYMAN: Thanks, Allison.

21 With regard to pyro processing, in
22 particular, the notion that bulk separation of

1 transuranics with plutonium reduces
2 significantly the proliferation/terrorism risk
3 associated with the fresh fuel has not been
4 validated by those studies which indicate that
5 most transuranics themselves are weapons-
6 usable.

7 There are iterations of pyro
8 processing where there may be self-protection,
9 which is marginally better than current
10 standards for a short period of time. Some of
11 the lanthanide fission products do provide
12 some dose, but they decay rather fast. So a
13 number of studies have shown that the actual
14 self-protection of the pyro processing product
15 is really not significantly different from
16 separated plutonium after a couple of years.

17 In addition, pyro processing is
18 more challenging to safeguard than even
19 aqueous reprocessing because of the
20 inhomogeneity of the system and the inability
21 to measure accurately the fissile material
22 content in a variety of locations in the

1 system.

2 With regard to your second
3 question, we do favor exploration of systems
4 where you may achieve higher uranium
5 utilization without reprocessing. One is the
6 general concept of breed-and-burn, and I think
7 you are going to hear more about the traveling
8 wave reactor in the next session.

9 These systems are complicated, and
10 development is probably going to be difficult,
11 but that is also true of the systems that I
12 described before with fast reactors, thermal
13 reactors, and repeated recycling. So I don't
14 think the technical challenges are going to be
15 much greater. And the ultimate objective of
16 being able to achieve those improved fuel
17 cycle characteristics without reprocessing is
18 worth pursuing.

19 CHAIR DOMENICI: Our Co-Chairman
20 has a question.

21 CHAIR PETERSON: Just to follow on
22 with the question because, as you note, the

1 self-protection levels of transuranic
2 plutonium mixtures are not that high. Two
3 parts to that question.

4 The first is, could you comment on
5 the additional barriers to theft that are
6 provided by handling materials in hot cells as
7 opposed to, say, gloveboxes, because they are
8 sufficiently radioactive that you need to?

9 And then the second thing would be
10 a longer-term question. The same thing
11 happens to spent fuel. That is, it is self-
12 protecting after 60 to 80 years. Those are
13 longer-term risks, but how do we manage those
14 under the once-through cycle?

15 DR. LYMAN: To address the second
16 question first, it is true that spent fuel
17 self-protection is going to decay over time.
18 And the theory is that if there is a geologic
19 repository available that will be
20 irretrievable on a timescale which will
21 compensate for the reduction in self-
22 protection, then that would be able to

1 mitigate that particular problem.

2 Now, in the event we're facing
3 where we may have above-ground storage of
4 spent fuel for over 100 years, maybe in 300 is
5 being discussed, that is certainly an issue.
6 And spent fuel will have to be, the physical
7 protection will have to increase over time to
8 compensate for that.

9 With regard to the risks
10 associated with pyro processing, if you could
11 truly have integrated, you know, the so-called
12 integral fast reactor where there's never any
13 fresh fuel that's leaving this closed system,
14 I would agree that that would confer some
15 benefit against sub-national theft. But there
16 is no model where that would be the only use
17 of that material.

18 There would have to be additional
19 processing and transport of materials in any
20 realistic scenario. In that case, the
21 concerns associated with the lack of self-
22 protection would be more evident.

1 CHAIR DOMENICI: Thank you very
2 much.

3 Now let's follow along where we
4 were. Phil Sharp?

5 MEMBER SHARP: Thank you, Mr.
6 Chairman.

7 I'm having trouble understanding
8 this since I'm not very technically, I'm not
9 at all technically-competent on this issue,
10 understanding what was said earlier about the
11 300 to 600 years, among three of you at least.
12 Were you telling us that, if we engaged in the
13 right -- we have the technological possibility
14 of reducing and burning up the foul stuff
15 sufficiently that, then, the ultimate
16 repository would only have to worry about a
17 600-year timeframe? Did I get that right or
18 have I got that --

19 MR. FULLER: Let me see if I can
20 answer that, Phil.

21 First off, I would like to do a
22 correction for the panel. I think the Senator

1 referred to me as "Dr. Fuller", and I have to
2 admit I have not had the honor of that
3 bestowed upon me yet. So I'm just a simple
4 business leader, not a technical leader.

5 If we would like to get into a
6 detailed technical discussion, I've got Dr.
7 Eric Loewen with me today to support me in
8 this discussion.

9 MEMBER SHARP: I don't think you
10 need to apologize to me, by the way.

11 (Laughter.)

12 MR. FULLER: Let me give you the
13 simple answer from my point of view. It is
14 that in advanced recycling technology, because
15 you have not separated out the transuranics,
16 including plutonium, and you put them back
17 into a fast breeder reactor, it will, in
18 essence, burn up a majority of the energy that
19 is in that. By doing that, you are reducing
20 the half-life of the material left over
21 dramatically.

22 So, instead of having a Yucca

1 Mountain that we were designing for 10,000
2 years for safety of storage, you can design --
3 you still need a repository possibly about the
4 same size, but you're designing it for 300 to
5 500 years, when that waste product, the energy
6 of that waste product starts to dramatically
7 reduce.

8 And from a public point of view, I
9 think people can get their heads around the
10 design of a facility that's 300 to 500 years
11 -- let's even say it's 500 years on the
12 outside -- versus a facility that you have to
13 design for 10,000 or more.

14 MEMBER SHARP: I appreciate that.
15 That's what I thought had been said, and what
16 I wanted to do was test that with other
17 members of the panel, whether they accept that
18 theory, not on the public acceptance issue,
19 but on the question of whether technologically
20 we can reduce the threat and contain it into,
21 you know --

22 DR. HANSON: If I may, first of

1 all, I need to make a correction. The DOE was
2 originally licensing Yucca Mountain to a
3 10,000-year standard, but, in fact, because of
4 the NAS, they are licensing to a million-year
5 standard, which, frankly, I don't think we're
6 going to be able to ever convince the public
7 we are capable of doing.

8 MEMBER SHARP: For good reason;
9 this is smart on the public's side to not
10 think any of us really know a million years
11 from now what the situation is. Pardon me.
12 I'm showing, I'll share my ignorances, too.
13 Maybe there are some scientists that disagree
14 with that.

15 DR. HANSON: But Jack Fuller is
16 correct; if you remove and recycle all of the
17 uranium and the plutonium and the minor
18 actinides, you are left with the fission
19 products, and now you do have a 300-to-600-
20 year problem. However, we don't know how to
21 do that today efficiently. We were all doing
22 research all around the world to get to that

1 point in time, but we can't get there today,
2 in my view.

3 But just to give you an example of
4 how one could make progress, if you take the
5 waste and the radiation characteristics of the
6 vitrified fission products that we put into
7 glass canisters in France, and you watch the
8 decay of the fission products over time, those
9 high-level waste glass logs could go into WIPP
10 in a relatively short period of time.

11 We have a repository in the United
12 States which could take the high-level waste,
13 based on the processes that we are
14 implementing today. Now, again, I'm not
15 recommending that we do this, but it is a step
16 in the right direction. By removing the
17 plutonium and doing thermal recycle, we reduce
18 the problem from a million-year problem down
19 to a 30,000-to-50,000-year problem. It's a
20 step in the right direction. If we remove the
21 transuranics then later, we move down to a
22 300-to-600-year problem. That's, I think,

1 everybody's goal in the long-term.

2 MR. FULLER: One of the other
3 comments I would like to make to the panel is,
4 to me, this is something that in GE we call
5 the multi-generational plan. A multi-
6 generational plan says that you have a vision
7 of today, a decade from today, and 50 years
8 from today.

9 I think as you consider your
10 options of what to do with the spent fuel,
11 you've got to recognize that there is going to
12 be a final repository needed someplace. It
13 may be for different materials.

14 CHAIR DOMENICI: So there will be
15 a repository --

16 MR. FULLER: There will be a need
17 for a final repository of material someplace.
18 It may be a much shorter timeframe than the
19 10,000 years.

20 There is a benefit in mixed oxide
21 fuel reprocessing right now. You can get some
22 of that energy out, and it's an interim step.

1 But I think the final step of thinking about
2 how you deal with it has to be the recycling
3 because, when you get to the recycling
4 technology, you get 90 percent of all that
5 energy back out of that bundle instead of
6 wasting 90 percent right now.

7 So I think if you think about this
8 as a multi-generational plan, that all of
9 these things make sense; it's only a question
10 of when. Then the question is, how do we
11 shape the vision for the future to get to that
12 plan and how do we have the staying power past
13 various Administrations to stick with that
14 plan?

15 MEMBER SHARP: I would like to get
16 other panelists' response to that possibility.

17 DR. RESNIKOFF: I wanted to
18 comment on your question. There are a lot of
19 if's that were just mentioned. It requires a
20 separation technology for these minor
21 actinides which doesn't exist today. It
22 requires a fleet of breeder reactors that will

1 burn up some of these minor actinides.

2 So, in my point of view, I don't
3 see a Hollywood ending to this whole
4 discussion. I see continual storage at
5 reactor sites, but hardened storage to reduce
6 the proliferation issue and sabotage
7 questions. That's really the way I see the
8 future. And I don't see an ultimate ending to
9 this story. I don't know; maybe the other
10 panelists have a much more optimistic view.

11 MEMBER SHARP: I don't know if the
12 other three panelists would like to comment on
13 that.

14 DR. JACKSON: I would like to
15 comment, just from the standpoint of we do
16 have to deal with the legacy of fuel that we
17 have now, and there is a need for technology
18 to be developed to be able to reach that 300-
19 to-600-year goal.

20 But beyond that, working on a
21 separate path, looking at the very long-term,
22 to integrate the whole fuel cycle in ways that

1 the requirements for the back-end drive you
2 back into the LWR cycle in the front-end, and
3 if you can, in fact, approach some of those
4 cycles so that you are creating fewer of those
5 transuranics as you go forward, then the
6 fission product 300-year cycle decay is the
7 one that is the limiting factor.

8 So I still think there are two
9 parallel tracks that we need to think very
10 carefully about.

11 MEMBER SHARP: Do the two tracks
12 together ever get you to the point of the 350
13 or are you telling me that we need a Yucca
14 Mountain, no matter what, under its
15 theoretical requirements?

16 DR. JACKSON: The two do. You do
17 need an ultimate repository at some point.
18 The characteristics of that repository are
19 determined by what you do on these paths,
20 either both with the legacy fuel and with the
21 long-term cycle development.

22 MEMBER SHARP: But you're going to

1 use up that legacy fuel is the point in that?

2 DR. JACKSON: Right.

3 MEMBER SHARP: You're going to get
4 the tracks merging into one?

5 DR. JACKSON: Correct.

6 MEMBER SHARP: Yes?

7 DR. LYMAN: Yes, if I may briefly,
8 in our view, simply it is not feasible to
9 construct the system that would achieve that
10 kind of reduction in repository requirements
11 cost-effectively or on a --

12 MEMBER SHARP: In other words, it
13 might be technically possible, but you just
14 doubt that we could ever build this --

15 DR. LYMAN: Well, I think on an
16 engineering scale it would not be possible.
17 I think when the panel examines, for instance,
18 the EPRI report that I mentioned that was
19 described to you at the Idaho Falls meeting,
20 just taking one example, they found that with
21 this near-perfect system, to reduce actinide
22 inventories, that even after 1334 years, they

1 would only have reduced the actinide inventory
2 in the system by 95 percent relative to once-
3 through. That 5 percent long-lived actinides
4 is still going to be a burden that you're
5 going to have to carry. So, I think even with
6 a near-perfect system, you're not going to be
7 able to achieve those kinds of unrealistic
8 numbers.

9 MR. DOBSON: A lot of things have
10 just been said about separation of actinides.
11 In our assessment of the situation, we found
12 that it is possible to separate the actinides,
13 but more development work is required to
14 confirm the separation efficiency.

15 But I would go back to the point
16 that Alan Hanson made right at the outset of
17 this set of responses. If you have recycled
18 the fuel, and he made the point about the
19 glass logs that are sitting in France and the
20 United Kingdom and Japan. They contain
21 americium and curium, the two actinides of
22 interest. And after a few hundred years, that

1 material would actually meet the
2 specifications for disposal in a salt dome
3 repository like the one in New Mexico, the
4 Waste Isolation Pilot Plant.

5 So, there is a route to deal with
6 that material, even if you were unable to
7 achieve the separation efficiency on the
8 americium and curium. There are other
9 possibilities for burning the americium and
10 curium, and they are in the report that we
11 submitted to you.

12 But the point we must emphasize,
13 there is an alternate disposal pathway if you
14 take that. And although the separation
15 efficiencies, it's quite correct, have not
16 been demonstrated yet, and that feeds into the
17 EPRI discussion, we must not let the art of
18 the perfect beat what is possible to actually
19 achieve.

20 MEMBER SHARP: Well, if I could
21 just follow up with the two gentlemen on the
22 end, Mr. Resnikoff and Dr. Lyman, I just

1 wondered if they would want to comment on this
2 theory that we could, after a couple of
3 hundred years, take the glass logs and put
4 them in WIPP.

5 CHAIR DOMENICI: I wonder, Phil,
6 if with this question, you would let us yield
7 a little to Susan --

8 MEMBER SHARP: Sure.

9 CHAIR DOMENICI: -- and then come
10 back to you?

11 MEMBER SHARP: Sure. No, that's
12 fine.

13 CHAIR DOMENICI: You're asking
14 such great questions it's taking a lot of
15 time.

16 MEMBER SHARP: I see why the
17 Senator was so incredibly successful at
18 keeping his constituency together.

19 (Laughter.)

20 CHAIR DOMENICI: Okay, you may
21 proceed.

22 MEMBER SHARP: I just wondered if

1 I could just follow up that question to see if
2 they have a comment on this claim that we
3 could take the glass logs as they are now and
4 simply put them in WIPP. I mean they can't do
5 it now, but in 200 years or whenever.

6 CHAIR DOMENICI: In their current
7 form? In their current form? Is that what
8 somebody recommended?

9 MEMBER SHARP: But 200 years
10 later.

11 DR. LYMAN: Just quickly, in my
12 view, that's not really the right question to
13 ask. I think probably, according to the WIPP
14 waste acceptance criteria, you could because
15 WIPP is a repository for plutonium, which has
16 a very long half-life, but it is not a 300-to-
17 600-year repository. The philosophy behind
18 WIPP is that there's going to be essentially
19 no migration for a long time.

20 So it doesn't answer the question
21 that you originally posed, whether --

22 MEMBER SHARP: I'm not asking that

1 question. I've switched questions. This gets
2 into your realm of we're now being more
3 practical. We're never going to get to what
4 these folks think. So, if we can't get there,
5 is this a reasonable proposition?

6 DR. LYMAN: Well, you could
7 probably also bury the spent fuel directly in
8 that case because, once the heat load is
9 reduced to the extent, you can bury in the
10 salt formation. So it's not --

11 MEMBER SHARP: So, in other words,
12 you're not challenging --

13 DR. LYMAN: It's an irrelevant
14 point. We're not challenging that, but it's
15 not relevant.

16 CHAIR DOMENICI: Thank you. We'll
17 have a lot more to say about high-level waste
18 and WIPP in terms of the process. That's
19 where we are with friendly neighbors and
20 people that want what they've got. That has
21 to be taken into consideration.

22 Susan Eisenhower had a question.

1 MEMBER EISENHOWER: Well, first of
2 all, I want to thank the panel for a very
3 illuminating presentation. So I greatly
4 appreciate it, and thank goodness that we have
5 had the question-and-answer period because I'm
6 one of these people -- and I may be the only
7 person in this room that has not yet made up
8 my mind on this issue. And therefore, I found
9 the presentations actually rather frustrating,
10 in the sense that -- to say the least.

11 We had four people that made
12 basically the same declaratory statements and
13 two people who basically made completely
14 different, opposite declaratory statements,
15 all declaratory statements based on facts.
16 So, for somebody who is trying to make up his
17 or her mind on this subject, this is extremely
18 confusing since we seem to have a difference
19 of opinion around the facts, and I hope that
20 I'm not entirely correct about that, there's
21 some nuance I'm missing.

22 It has occurred to me that part of

1 our problem here is that, just as there was
2 some definitional question about what's
3 economical, that we have a definitional
4 question around tolerable risk. Since this
5 Commission is convened to be thinking about
6 long-term strategy on this issue, obviously,
7 I'm saying this more as a statement to the
8 Commission and to be on the record, but we are
9 going to have to come up with some definition
10 of tolerable risk and what actually
11 constitutes reasonable economics. Because,
12 otherwise, everybody at this panel is correct,
13 and if everybody at this panel is correct, we
14 are never going to be able to move forward.

15 So I had sort of two questions I
16 wanted to ask to each side, just to help me
17 clarify in my own mind how to think about some
18 of these very different presentations.

19 To our two panelists here who
20 clearly are not in favor of recycling, what do
21 you think the strategic thinking is of other
22 countries that are currently undertaking

1 reprocessing? Clearly, they worry about their
2 own personal health and security and non-
3 proliferation. Could you give us an insight
4 into how you think the other guy is looking at
5 this?

6 And to the other four panelists,
7 who clearly don't agree with the other two
8 panelists -- and, oh, I'm sorry.

9 For the other two, could you also
10 say something about your views about research
11 and development? Because I sort of got the
12 impression that you think it's hopeless. I'm
13 curious to know whether you have any
14 confidence in the other four panelists sitting
15 on the other side of the table.

16 To the four panelists on the other
17 side of the table, to the two who clearly
18 don't agree with you, what points did they
19 make, are there any points that they made that
20 you would concede has validity and requires
21 further investigation on our part?

22 Thank you.

1 DR. RESNIKOFF: With regard to --

2 MEMBER EISENHOWER: For the first
3 two, I want to know how they thought other
4 countries were viewing this and, also, their
5 attitude to research and development.

6 And to the other side, I would
7 like to know how they really respond to the
8 factual questions.

9 I mean we could find another way
10 to do this, but somebody has got to help at
11 least this Commissioner understand what are
12 irrefutable facts. You know, everybody has a
13 right to their opinion, but they don't have a
14 right to the facts. And we're going to have
15 to get at this because we're going to have to
16 make a case to the public that the assessment
17 we're giving is based on facts. And I'm
18 actually more confused this morning than I was
19 before I came.

20 CHAIR DOMENICI: I don't know if
21 you're that confused. There are many people
22 in this room, and some must be more confused

1 than you.

2 (Laughter.)

3 But, in any event, we're going to
4 start answering that, and then that's the last
5 question before our break. I do have a couple
6 that I'm entitled to.

7 Do you want to start on your end?

8 DR. RESNIKOFF: Yes. Just
9 briefly --

10 CHAIR DOMENICI: Sir, first, I
11 want to tell my good friend who's second there
12 why he was called "Dr." You have what is
13 called a water pitcher between you and me and
14 your sign, and it hides your name, see. So I
15 didn't see "Jack". I saw nothing. And I
16 thought, well, he must be a "Dr."

17 (Laughter.)

18 MR. FULLER: I appreciate the
19 honor.

20 CHAIR DOMENICI: That water
21 pitcher helped you today. You got a degree.

22 (Laughter.)

1 All right, we're going to start
2 with you, sir.

3 DR. RESNIKOFF: The countries that
4 are reprocessing don't have repositories.
5 They have not solved the waste problem.

6 But I see long-term storage as a
7 way to reduce the risk. That is to say, there
8 is a caveat to this. We work for the State of
9 Nevada on transportation issues. Allowing
10 waste to remain at the repository site in safe
11 storage reduces the transportation risk.

12 So, when you consider all the
13 risks, you need to take them all into account,
14 transportation being one of them, it does
15 reduce the risk.

16 And it also reduces the risk in
17 placing material into a repository if you
18 reduce the heat load before you put it into
19 the repository.

20 But I want to, then, reemphasize a
21 point that Allison made, which is that when
22 you have a large buildup of these minor

1 actinides, it does increase the heat load in
2 the long-term, not the short-term, not the
3 300-year timeframe, but in the longer
4 timeframe. So that risk also must be taken
5 into account.

6 CHAIR DOMENICI: Thank you very
7 much.

8 Do you want to go right down the
9 table, if you have an answer? We don't have
10 to.

11 DR. LYMAN: Sure. On the question
12 of other countries, I don't think there's a
13 one-size-fits-all with regard to those
14 countries that have chosen to reprocess. But
15 I do know that those countries have
16 accumulated large inventories of plutonium
17 that is surplus, that it requires significant
18 resources to protect against theft and, also,
19 poses safety issues.

20 To a large extent, it is based on
21 wishful thinking. It is based on the
22 expectation that there will be a fuel cycle in

1 the future that will be able to absorb these
2 inventories, but the history so far is that
3 France has accumulated 50 metric tons of
4 plutonium in storage that it is not able to
5 absorb into its fuel cycle. Japan has about
6 40 tons domestically and overseas. The United
7 Kingdom has accumulated over 100 metric tons
8 of plutonium.

9 And you have to put that in
10 context where only 4 or 5 kilograms is enough
11 to make a nuclear weapon. So these countries,
12 based on highly-unrealistic expectations of
13 what they think a fuel cycle can achieve, have
14 I think dug themselves into a much deeper hole
15 than the U.S. is at this point, where we do
16 not have any significant surplus stockpiles of
17 civil plutonium. We have the stockpiled
18 military plutonium, which is going to cost
19 many, many billions of dollars, taxpayer
20 dollars, to get rid of over the next several
21 decades.

22 With regard to R&D, as I said in

1 my testimony, we think that there's a lot of
2 work that can be done in improving the once-
3 through cycle, improving uranium utilization,
4 reducing the potential need for uranium
5 enrichment as a per-megawatt-day of
6 electricity generated, which we also think
7 could be a significant proliferation boon.

8 And we think the fast reactor camp
9 has dominated the U.S., the DOE R&D
10 infrastructure for too long, and they have
11 stifled the development of other ideas. And
12 we would like to see those ideas get more
13 significant play in the future.

14 MEMBER EISENHOWER: Ed, with
15 respect to those ideas, I mean presuming that
16 the Department of Energy, or some other
17 government entity, is willing to engage in
18 research and development around some of the
19 ideas you're interested in pursuing, are you
20 actively against pursuing research around
21 reprocessing or fast reactors?

22 DR. LYMAN: Well, I think that

1 there's already been, the emphasis has been,
2 in DOE's NE fuel cycle research, the emphasis
3 has been on reprocessing fast reactor
4 development, and that has yielded relatively
5 little fruit in the last several decades.

6 My view is that that has
7 preoccupied or it has taken the lion's share
8 of the attention, and therefore, has stifled
9 consideration of once-through options. For
10 instance, if you sat down and thought, how far
11 can we go without reprocessing, you know,
12 taking that out of the equation, and then
13 exploring those options, that would provide
14 new directions for R&D and could lead to
15 further insights.

16 But I think, just to give one
17 example, CANDU reactors, which can use natural
18 uranium, they have some proliferation
19 advantage in that you don't need enrichment
20 for the fresh fuel. There are options where
21 you can actually improve the operation and the
22 fuel utilization of CANDUs, which has

1 significant technical problems.

2 But there has not been significant
3 work on trying to address those problems
4 because the attention, again, has focused on
5 reprocessing and the fast reactor development.

6 So, again, we would like to at
7 least promote new directions in research by
8 seeing how far you can go without
9 reprocessing.

10 MR. DOBSON: Your question to the
11 four people on the left of the panel was, is
12 there anything that we found that we agree
13 with? And that's a very difficult question to
14 answer other than by saying no.

15 (Laughter.)

16 However, I think that there is
17 just one small area, and that is on the
18 question of economics. As we made in our
19 remarks, the conditions have to be right to
20 make a purely economic case for recycling.

21 And I will just make the point
22 that in my view, in our view, it is if there

1 is a substantial program of new build, which
2 we believe brings great benefit to the United
3 States, if that program occurred, then the
4 economics do, in fact -- they are a key
5 issue -- but they begin to look very
6 favorable.

7 MR. FULLER: What I would concede
8 to the righthand side of the table is the fact
9 that technological innovation is tough. It's
10 really tough to innovate. But if you don't
11 move forward, if you don't have a vision of
12 innovation, you move backwards.

13 And I think from a nation's point
14 of view, we cannot concede ourselves to
15 burying this material, for 300 years from now
16 somebody else to come forward and say, look at
17 all this good material we can use and good
18 energy we can get out of it.

19 So what I would concede is
20 technological innovation is always going to be
21 tough. There's going to be fits and starts.
22 But we can do it safely. We can do it right.

1 We can do it and protect the material at the
2 same time.

3 And as I look forward, I've got
4 the wonderful benefit to have had two small
5 grandchildren born in the last two years. And
6 I look at their environment in the United
7 States 30 or 50 years from now; it will be
8 dependent on where we go from a policy point
9 of view. If we don't keep moving forward, and
10 we start moving backward, our economic
11 environment and the environment for those
12 children 50 years from now is going to be
13 different, and not in a good way.

14 So that would be my view.

15 DR. HANSON: Okay. To conclude
16 things, I think Susan's looking for perfection
17 if she expects to get a complete consensus
18 even on the facts.

19 MEMBER EISENHOWER: No, I never
20 expect perfection.

21 (Laughter.)

22 DR. HANSON: Okay, good, because I

1 will quote that well-known philosopher Pogo,
2 who said that, "I'll pit my facts against your
3 facts any day."

4 (Laughter.)

5 And I think that's a little bit of
6 what you're seeing here.

7 But I do have some areas of
8 agreement, and I wouldn't even call them
9 concessions. You know, there are some good
10 points that are being made by everyone here at
11 the table.

12 Here's where I agree with what
13 we're hearing from the far end of the table:
14 fast reactors are challenging, and they are
15 not ready for primetime. We may differ, then,
16 on how long it takes to get them to primetime.

17 They suggest that plutonium is
18 dangerous and we need to protect it, and I
19 certainly agree with that. It's a dual-use
20 material. We need to do something with it.

21 The difference in opinion,
22 however, is that I think it is sufficiently

1 dangerous, and also useful, that we ought to
2 burn it instead of just waiting for it to
3 decay.

4 And that ties into the third
5 issue, and that is, I really do agree with the
6 intergenerational equity. And I don't have
7 any grandchildren yet. I hope to in the
8 future. I worry about those grandchildren. I
9 worry about my children, for that matter.

10 The suggestion that we put used
11 fuel into storage casks and leave it there for
12 centuries is not intergenerationally
13 equitable. It absolutely is not.

14 First of all, we're not dealing
15 with the issue of waste. But even more
16 importantly, we are not dealing with the issue
17 of plutonium management.

18 As we have heard, over the next
19 couple of centuries, the self-protecting
20 nature of that fuel is going to go away. So
21 what we are doing is we are leaving not only
22 the waste problem to our grandchildren, we're

1 leaving a proliferation problem to them. And
2 it is not solved by putting it into the
3 repository because, if you put the plutonium
4 in there, you have to safeguard that
5 repository forever. And I think that's a dumb
6 thing to do, even if we could convince the
7 public that we are going to be able to do
8 that.

9 So focus on that intergenerational
10 issue. We agree that there is an issue. I
11 think everybody here agrees. We just have
12 different solutions for how we go about
13 solving it.

14 CHAIR DOMENICI: All right. Are
15 you last?

16 DR. JACKSON: I would only add
17 that it is an intergenerational issue, but
18 it's not a burden; it's an opportunity. And
19 there is energy and there is benefit in the
20 used fuel. So the opportunity is to determine
21 what policies need to be in place and what
22 technologies need to be developed to utilize

1 that.

2 I don't have grandchildren. I
3 have teenaged children who constantly tell me,
4 "Don't make the decision for me. Let me
5 participate in that decision." So being safe
6 until there are technologies that can utilize
7 some of those spent fuels is important.

8 I would also agree with the other
9 end of the table, if you will, on the issue
10 that the long-term benefits of pursuing an
11 additional set of strategies and policies that
12 link together all portions of the fuel cycle
13 really aren't fully understood.

14 So, until you can fully understand
15 those benefits and risks, and do that tradeoff
16 in the calculus, you don't know the set of
17 opportunities that you are choosing or closing
18 off. So I think that we do need to continue
19 to integrate our issues.

20 The other thing that I will say
21 is, having a difference of opinion is really
22 powerful because it does improve standards and

1 it does improve design and long-term
2 operability.

3 CHAIR DOMENICI: All right, I
4 understand that my friend has a question. Can
5 I have mine first, and then get an
6 observation, and then you'll wind this session
7 up?

8 First of all, I want to tell you
9 it's always a privilege to work with you on
10 Subcommittees or Committees, and this one will
11 be no exception. It's a very challenging
12 Subcommittee, and you'll be right there
13 helping us, I'm sure.

14 Let me make an observation or two
15 here with you all.

16 First, somebody commented about
17 whether nuclear power was competitive in the
18 United States. And I guess it was in
19 reference to your observations where you laid
20 before us the costs.

21 The answer to whether it was
22 economic now or not was played upon by

1 something that happened. It was very
2 unexpected. This guy is a Senator for 36
3 years, and until three years ago, I spent on
4 the energy side 10 percent of every year, and
5 in one year 15 or 20 percent, on the issue of
6 natural gas because we couldn't get it out of
7 the ground for 25 years of my 36 because it
8 was under federal judge order that it was
9 interstate-regulated and the Interstate
10 Commerce Commission set the price. So it was
11 a regulated commodity, and we found little or
12 none of it. We broke that and said we're
13 going to do a little bit of it, and eventually
14 we said it's open to be drilled, subject to
15 state law on conservation.

16 During that period of time, on
17 another side, some research was taking place
18 with reference to drilling, so that you could
19 drill in and then drill sideways. So you
20 could put on the bit of a drill something
21 that, once you got it in there, would explode
22 and push water out at a very high volume. And

1 guess what? It pushed the natural gas out
2 with it.

3 So here came the greatest nation
4 on Earth suffering for energy, and by an
5 accident of intervention of scientists who
6 were working on drills to drill better holes
7 to get natural gas and crude oil out of the
8 ground, they found that all over America there
9 was a source of energy called natural gas that
10 we had not even looked for because we said
11 it's there, but we can't get it.

12 So, through research and continued
13 intervention by people who wanted to make
14 money -- I hate to say it; they were all
15 capitalists -- they went out there and found
16 a whole new source. And all of a sudden, the
17 great source of energy called nuclear and
18 nuclear power plants became subject to \$3.25
19 natural gas, which used to be \$15 a barrel,
20 \$15 a BTU. And during my last two or three
21 years in the Senate, it was \$12 to \$13. It
22 was so high that Dow Chemical was going broke,

1 moving out of this country because they could
2 not afford to survive on natural gas at that
3 price.

4 Well, who would have looked at the
5 price of Dow's stock when we found that
6 natural gas came tumbling down? And who
7 should have invested and made money?
8 Everybody that knew what I know should have
9 put all their money in Dow stock because it
10 went up sixfold in three months, from \$4 or \$5
11 to \$20 or \$30. Why? Because this product
12 that was found by accident, intervention of
13 science, not really accident -- they were
14 looking for better ways -- found a way to give
15 us this asset.

16 Now I'm telling you I'm beginning
17 to learn that there are a lot of people that
18 think we ought to put this high-level waste
19 away permanently and say that's the end of it.
20 And we're having a very strange happening of
21 new events. Because, let me tell you, we are
22 almost prepared to tell the American people,

1 and I think that everybody would vote for
2 this, that we have an interim storage solution
3 that is viable and we should build interim
4 storage facilities, and we should also have
5 onsite. Many of the sites that have dry casks
6 should remain as temporary sites for the
7 disposal of spent fuel.

8 Now, in this, it's clear to me
9 that you can find a way to dispose of it, some
10 of it, to save it for future use in some way.
11 And you have to ask your question, what are
12 you trying to do with the waste? And that's
13 what I think we have to answer. Are we just
14 trying to get rid of it, so it is no longer a
15 hazard? Are we trying to save it because it
16 has energy in it? And can we at some time
17 decide that we don't need the energy? We
18 would have to admit today uranium is pretty
19 cheap, and you won't compete with it with the
20 use of temporary -- you won't compete with it
21 with recycling. That won't work. Recycling
22 won't work for the time-being.

1 So I'm not sure that this
2 Commission was put in play, Susan Eisenhower,
3 to just answer the question of we can put it
4 away in salt, in a permanent fashion, wash our
5 hands of it, and it's over with. Because we
6 have to ask ourselves the question, do we want
7 to use it someday? It's got 97-98 percent of
8 the energy it started with still in it.

9 Right now, the Japanese are
10 looking at research -- you should all know
11 that, and we should get some testimony on it
12 -- on finding uranium in sea water. If they
13 succeed, there's going to be another giant
14 source of uranium. I don't know if you all
15 know that. It's gigantic, and it could be.

16 Where here again, it is just we've
17 got to have something that's flexible enough
18 to handle these situations, but, clearly, it
19 is not the simple thing of just putting it all
20 away in salt or other places forever. It has
21 got too many claims on it for us to do that.

22 Now, having said that, I shouldn't

1 have said that, but I did.

2 (Laughter.)

3 And I feel very good about it
4 because we're still on time.

5 (Laughter.)

6 Okay? Doctor, do you want to
7 proceed?

8 MEMBER MESERVE: Thank you,
9 Senator.

10 In contrast to your rather global
11 and profound comments, I'm going to ask a much
12 more particular one that's just a followup on
13 some of the testimony from Dr. Hanson.

14 As I understood your testimony,
15 the proposal that you had suggested for us is
16 to take existing light water reactor fuel,
17 recycle it one time as MOX, and that then the
18 MOX fuel, after it has been burned once in the
19 reactor, would then be stored for possible
20 eventual use. And I believe that is the model
21 that the French are following in France.

22 I guess the question I have is

1 that, given the abundance of uranium and the
2 fact that we can store the light water reactor
3 fuel as it is safely and securely for as long
4 as we want, and it's not economical, as we
5 have discussed, to do the reprocessing for
6 MOX, why be bothered with that step? Why
7 don't we just hold the fuel and wait and see
8 what we should do with it? And perhaps R&D,
9 as we have discussed, might provide some other
10 options for us that could even be foreclosed
11 by having proceeded with the interim step of
12 generating MOX fuel.

13 DR. HANSON: There are a variety
14 of answers to this. But, first, I have to
15 disagree, as I did earlier, with regard to
16 economical. It can be economical. It is
17 economical. Or, otherwise, people wouldn't be
18 doing it. There is, at most, a small penalty
19 that is being paid by the countries who are
20 deciding to do recycling.

21 One of the reasons to get started
22 is that you don't make technological progress

1 only in the laboratory. You need to reduce
2 things to practice in order to find out
3 whether they are going to work on a commercial
4 scale. And I can give you lots of examples of
5 technologies that worked in the lab and never
6 worked when you got them to the industrial
7 scale. So you need to do that.

8 You need to have a workforce that
9 is knowledgeable and capable of dealing with
10 the technologies that you're working on.

11 There are a lot of white-haired people in this
12 room; I'm one of them. And you're watching
13 the knowledge about aqueous processing and
14 separations chemistry and radiochemistry
15 disappear in this country. That is one of the
16 reasons that we are running behind the rest of
17 the world, where they have continued to work
18 on this during the decades that we sat on our
19 hands and expected everybody else to stop.

20 I think, very importantly, I'm
21 going to come back to plutonium management.
22 My view remains that plutonium is something

1 that we will eventually have to dispose of.
2 We will not be able to leave it on the
3 surface. We are not going to be able to put
4 it in the repository. We are going to need to
5 burn it up. So, if we get rid of 30 percent
6 of it now, it is a step in the right
7 direction.

8 I can tell you that our primary
9 customer, ADF, in France, will not allow us to
10 burn it a second or third time because they
11 want to preserve the plutonium that is in
12 there for the fast reactors which they expect
13 to come. Because you need a significant
14 plutonium inventory to start up those fast
15 reactors.

16 But by doing the once-through
17 recycle, we start down the path. We remove
18 some of the plutonium. We denature the rest
19 of it. And for those who are big fans of
20 self-protection, we make it more self-
21 protecting and we reduce the volume down by a
22 factor of one-seventh. We've got one-seventh

1 the number of assemblies to store on the
2 surface of the Earth until we do something
3 with them. That's a step in the right
4 direction.

5 Do we have to do it? No. I think
6 it makes good sense; other people don't. I
7 think it ought to be an action, and that's
8 where I would leave things off. I think
9 what's important for me is that this
10 Commission does not prematurely close off
11 options. We don't have to make all of the
12 final decisions today. We just need to start
13 down the right path.

14 Leave it to the federal
15 corporation to make the decision on when and
16 how to do recycling. You don't have to decide
17 that as a panel. And I think that would be a
18 perfectly acceptable outcome.

19 CHAIR DOMENICI: The schedule says
20 that we're about eight minutes late, but we
21 are going to start this next meeting at what
22 time?

1 MR. FRAZIER: We are 15 late.

2 CHAIR DOMENICI: All right.

3 MR. FRAZIER: Let's just take a
4 10-minute break?

5 CHAIR DOMENICI: A 10-minute
6 break. Thank you.

7 (Whereupon, the above-entitled
8 matter went off the record at 10:30 a.m. and
9 resumed at 10:43 a.m.)

10 MR. FRAZIER: Okay. Now I am
11 serious. We are going to get started. Come on
12 in, take a seat.

13 We are missing Chris Mowry. All
14 right, we're going to start without him.

15 Per, are you going to start?

16 CHAIR PETERSON: Yes. I would
17 like to recognize Senator Domenici.

18 CHAIR DOMENICI: Yes. It's time
19 for us to get started. Mr. Chairman, I will
20 be right back, but I have to excuse myself for
21 a moment.

22 CHAIR PETERSON: Okay. We'll get

1 started. Thank you.

2 Thank you. We are starting the
3 second panel of today's session.

4 Today this is a continuation from
5 the first panel, "Opportunities in Reactor and
6 Fuel Cycle Technologies".

7 Okay, if we could have things
8 quieted down in here? Okay.

9 As with the prior panel, the
10 Commission asked the panelists to consider the
11 two following questions:

12 The first, from your perspective,
13 are there technology options, including
14 alternatives to the once-through fuel cycle,
15 that hold significant potential to influence
16 the way in which used fuel is stored and
17 disposed?

18 And two, are there federal actions
19 that could facilitate commercial efforts to
20 develop and deploy these technology options
21 while meeting economic, safety, environmental
22 protection, security, and non-proliferation

1 goals?

2 As with the previous panel, we
3 would like to remind panelists that they are
4 to keep their presentations to 10 minutes or
5 less, and that the remainder of the panel time
6 will be spent on questions, as you saw with
7 the last panel, and discussion with the
8 Subcommittee members.

9 So let me introduce our first
10 panelist, Dr. John Parmentola, Senior Vice
11 President of Energy and Electromagnetic
12 Systems at General Atomics.

13 Doctor?

14 DR. PARMENTOLA: Well, thank you
15 very much. I would like to thank the
16 Commission and also this Subcommittee for
17 giving me an opportunity to talk about a new
18 reactor concept that we have been working on
19 at General Atomics for the last two years.

20 The motivation behind this reactor
21 involves three major issues.

22 One was, could we drive down the

1 economics of nuclear, making it more
2 competitive in the marketplace?

3 The second, could we turn used
4 nuclear fuel into a resource and extract the
5 energy out of it efficiently?

6 And three, could we do it in a way
7 in which we increase proliferation resistance?

8 What I hope to convince you of
9 today is that there is a potential path toward
10 trying to solve all of these problems
11 simultaneously. However, I will say right
12 now, we don't have all the answers to trying
13 to realize this, and it will require research
14 in order to be able to explore this.

15 Of course, when we did this two
16 years ago, we weren't aware of the formation
17 of this Commission and also its charter. And
18 in fact, we were pleased to see that, in fact,
19 the memorandum that led to the creation of
20 this Committee was trying to address similar
21 issues that we at General Atomics are trying
22 to address.

1 There are, from our point of view,
2 five key national issues that need to be
3 addressed in nuclear. One is what to do about
4 the used nuclear fuel; economics, trying to
5 make nuclear energy more cost-competitive;
6 trying to address the issue of non-
7 proliferation or, another way of saying it,
8 could we increase proliferation resistance in
9 the way in which we deal with the used nuclear
10 fuel, closing the fuel cycle, et cetera, and
11 energy security which is constantly coming up
12 and giving us a lot of problems in terms of
13 trying to address it.

14 And the fifth, and I don't mean
15 this to be the least important, the human
16 dimension. We can't create the future without
17 people and we can't develop new concepts and
18 new technologies without encouraging people
19 with eager minds to address the issues that we
20 face with nuclear.

21 So the goals of Energy Multiplier
22 Module, which is this new reactor concept, are

1 it is a modular, high-temperature gas reactor.

2 It's a fast reactor.

3 What follows from this is it
4 burns, consumes used nuclear fuel and reduces
5 the used nuclear fuel inventory, and it
6 transmutes what are generally called the heavy
7 metals into fission products, and I'll discuss
8 that in a moment.

9 It is a modular reactor and it's a
10 high-temperature gas reactor. Being high
11 temperature, it has greater efficiency than
12 existing reactors. I will talk about that in
13 a moment. It is modular and, as such, we
14 envision this reactor to be built in factories
15 using manufacturing techniques, assembled into
16 large parts, and shipped on the U.S. highway
17 system to be assembled at a reactor site.

18 As far as proliferation is
19 concerned, this reactor reduces the dependence
20 on uranium enrichment and there is one
21 scenario where, in fact, it eliminates it. It
22 does not require conventional fuel

1 reprocessing in order to be able to close the
2 fuel cycle.

3 As far as energy security is
4 concerned, I said this is a high-temperature
5 gas reactor. As such, it does not require
6 water for cooling. Therefore, it has
7 significant advantages in terms of siting
8 flexibility. As such, it could contribute to
9 a future where we would be pursuing
10 electrification to provide electricity to a
11 broader demand across the country.

12 It's also a high-temperature gas
13 reactor. So, in addition to efficient
14 electricity production, it also can provide
15 process heat application, which can reduce our
16 dependence on natural gas in industries that
17 use process heat. As such, it will reduce CO2
18 emissions.

19 Now in order to realize this, it
20 requires research. There are major research
21 challenges that need to be addressed in order
22 to do this. We believe these research

1 challenges will attract eager minds to try to
2 address these issues.

3 As I said, this is a high-
4 temperature gas reactor. It is a 500-megawatt
5 thermal reactor, 240-megawatt electric. That
6 implies it has a 47 percent efficiency. It
7 achieves that because of both the high
8 temperature as well as an advanced high-speed
9 gas turbine, which you see off to the right.

10 It operates at 850 degrees
11 centigrade. It can utilize or burn either
12 depleted uranium or used nuclear fuel and,
13 again, without conventional reprocessing.
14 It's passively safe. It is not inherently
15 safe. And as such, it's comparable in its
16 safety to existing light water reactors. It's
17 underground-sited.

18 As I said, it is a modular
19 reactor. We envision this as being
20 manufactured, in fact, using replacement part
21 manufacturing and supply chain management, and
22 shipped by commercial trucks in large parts

1 and assembled on site.

2 The reactor, as designed, burns
3 for 30 years without refueling or reshuffling
4 of the fuel.

5 Why are we interested in used
6 nuclear fuel? Well, if you look across the
7 United States, as others pointed out, there's
8 60,000 tons of used nuclear fuel, but there's
9 also 700,000 tons of depleted uranium.

10 Theoretically, the amount of
11 energy that is contained in that material,
12 both of those, is equal to 9 trillion barrels
13 of oil, which is four times the known reserves
14 of oil and twice that of the known reserves of
15 coal.

16 I will also point out both oil and
17 coal are being depleted. The reserves are
18 expected to last of oil 40 years, that of coal
19 128 years, while the used nuclear fuel and
20 depleted uranium are growing. So that is a
21 resource that is growing, and if you think
22 about it, the various ways of thinking about

1 it, it is equal in value to about 50 times the
2 national debt.

3 This gives you an idea of what the
4 fuel cycle looks like for this reactor. On
5 the left, you see the spent fuel.

6 There are two components to this
7 reactor. There's an LEU starter, which
8 involves 12 percent enriched uranium. In
9 addition to that, you can either load the
10 reactor with used nuclear fuel or depleted
11 uranium, which makes up the balance of the
12 core.

13 As this reactor burns for 30
14 years, the neutron economy remains abundant,
15 and after 30 years, the reactivity goes down
16 because of fission products, as everybody
17 would guess.

18 The energy content of the
19 discharge is substantial at the end of this.
20 And of course, if you could remove the fission
21 products, there's enough energy in that
22 discharge to power another reactor.

1 And in fact, what we envision is
2 GA, General Atomics, has a proprietary
3 technology that has been demonstrated at a
4 prototype level -- it's called Archimedes --
5 that can remove light elements from heavy
6 elements, although it still needs to be
7 explored and studied to make sure that, in
8 fact, it can do what we think it can do.

9 So you remove these fission
10 products after 30 years, and you can take that
11 discharge, refabricate it into fuel elements,
12 and start the next generation. Of course, at
13 this point you don't need enrichment anymore,
14 and you can continue this process. We have
15 studied this process through seven cycles,
16 tracking fission products, 2,000 of them, to
17 see if there's any way in which it stops. So
18 far, we can't find a way in which it stops.

19 I said that you could start this
20 without enrichment. Instead of using low-
21 enriched uranium, you can use WIPP surplus
22 plutonium and start this reactor, and it will

1 go on forever.

2 If you look at a particular
3 quantity called fuel utilization, it gives you
4 an idea of the effectiveness of a reactor to
5 extract energy. What it is is you take the
6 mined uranium, and then you take the amount of
7 that uranium after enrichment that's fissions.
8 That gives you the fuel utilization for light
9 water reactors. It's 0.5 percent.

10 For EM-squared, it starts out at
11 twice that because you load the core with the
12 used nuclear fuel. We don't consider that to
13 be waste. That's actually fuel. And what it
14 does is it grows with time along the abscissa.
15 What you're looking at is EM-squared cycles.
16 Those are 30-year cycles, and it grows as a
17 function of time because the fuel is being
18 recycled and you're extracting efficiently the
19 energy out of it.

20 If you look at the waste, you see
21 that light water reactors, as far as volume is
22 concerned, produce much more waste than EM-

1 squared. EM-squared is fission products. You
2 will see that light water reactors produce
3 12,000 tons. EM-squared produces 450 tons of
4 fission products as a function of time, and
5 the scale there is 400 years.

6 This reactor has been peer-
7 reviewed by the U.S. Department of Energy.
8 Three labs participated in it. There's a 134-
9 page report that outlines the challenges
10 associated with realizing this reactor. We
11 have responded to it, and we've also developed
12 a development plan as well as a risk reduction
13 plan.

14 So my recommendations to this
15 Subcommittee are the federal government
16 realize reactors like EM-squared. The federal
17 government should adopt a policy that
18 encourages new concepts that concurrently
19 address the issues that I described. They
20 have to concurrently address them in order for
21 us to be able, in our opinion, to make
22 progress.

1 And the federal government should
2 support research that is required to address
3 the major challenges involving concepts like
4 this to move forward in the future.

5 Thank you.

6 CHAIR PETERSON: Thank you.

7 In fact, the EM-2 can operate for
8 30 years without any fuel reshuffling.
9 Unfortunately, we've actually sort of
10 reshuffled our speakers in a far shorter
11 period of time than that. So I'll go through
12 the order of presentations because I think
13 we'll have Dr. Lorenzini next, then Chris
14 Mowry, then, actually, Dr. Hargraves and
15 Cochran and Rothwell. Or is there any
16 preference here?

17 Okay. Why don't we stick with the
18 original agenda, which would be Dr. Lorenzini?
19 Okay. Very good. Thanks.

20 DR. LORENZINI: I am Paul
21 Lorenzini. I am the CEO of NuScale Power.

22 We are singularly focused on the

1 development of a modular, scalable light water
2 reactor. It's a technology that grew out of
3 test work at Oregon State University on the
4 AP600 and the AP1000, focused largely on how
5 natural circulation works in a passive system,
6 and then a DOE program about 10 years ago that
7 ultimately led to this design.

8 In very simple terms, it is
9 modular in two ways. It is modular, first of
10 all, in the sense that the entire reactor plus
11 the containment is built in a factory and
12 delivered to the site.

13 So you can see here the reactor is
14 under water. The containment is 65 feet by 15
15 feet, and that is sized in an envelope, so
16 that it can be shipped. Inside the
17 containment there's a pressure vessel and then
18 there's a nuclear reactor at the very bottom
19 in red.

20 Cooled by natural circulation. So
21 it is a very simple design. It is based on
22 established technologies. Natural circulation

1 gives us reliability. It gives us safety. It
2 gives us economics. We eliminate failure
3 modes. We eliminate equipment. We eliminate
4 large-break LOCA phenomena. The safety
5 analysis is very, very simple.

6 It is below grade in a pool of
7 water. So we get a very elegant system for
8 removing decayed heat under various scenarios,
9 and the containment being in a pool of water
10 inside a building, we have added barriers for
11 the release of anything to the environment.

12 So it is modular in a sense that
13 it is factory-manufactured. It is also
14 modular in the sense that we build a large
15 building with a pool of water in it, and then
16 we introduce new modules as the desire for
17 additional generation grows. So our base
18 design would have 12 modules in it to produce
19 540 megawatts, but we don't have to put them
20 all in at once.

21 So you can see here this is half
22 of the building, and you can see six modules.

1 So the idea is that you add a module as the
2 desired need for capacity grows, so it's
3 modular in the sense of how you expand it as
4 well as how you do the factory manufacturing.

5 In terms of the fuel cycle, the
6 waste, the spent fuel, is stored in a rather
7 conventional way. It's to the right; it's on
8 this diagram.

9 It's standard PWR fuel, less than
10 5 percent enrichment, and the concept here is
11 that we would store the spent fuel for 10
12 years, and then we would take the spent fuel
13 out of pools of water and put it into dry cask
14 storage. So it is a very conventional
15 approach to the fuel cycle.

16 The one question that we have been
17 asked is, how would thorium work in this
18 plant? And we actually had some conversations
19 with some thorium people, and we sort of had
20 a nice conversation with each other saying,
21 gee, we sort of match in terms of what we
22 contribute to the long-term picture.

1 The attractiveness of thorium is
2 that it reduces the inventory of long-lived
3 materials. It is more proliferation-resistant
4 than a conventional fuel cycle, and it has got
5 huge amounts of resources compared to uranium.

6 And so we looked at it. I don't
7 pretend to be a thorium expert, but we did
8 conclude that you could put a thorium core in
9 this plant. We also concluded there wasn't
10 anything special about our plant that made it
11 more attractive for thorium. Other plants
12 that are light water could use thorium as
13 well.

14 When we looked at putting thorium
15 fuel, we would need to have a fuel design. We
16 know the thorium as a fuel cycle works. It
17 was put in Shippingport, and it ran for five
18 years. So we know from that that you can
19 design a thorium core for a pressurized water
20 reactor.

21 There are some obvious fuel
22 development issues. There's infrastructure

1 issues. There's issues with regard to what
2 the industry needs to do to be ready for it.

3 So there's a lot of roadway
4 between here and actually introducing the
5 commercial thorium fuel cycle. But from our
6 perspective, it was important for us to know
7 that we're receptive to that, if it can be
8 done.

9 So that concludes my remarks, and
10 I'm, obviously, available for questions.

11 CHAIR PETERSON: Thank you.

12 Next, I would like to ask Mr.
13 Christopher Mowry, President of B&W, for your
14 remarks as well. Thank you.

15 MR. MOWRY: Thank you, Mr.
16 Chairman. I appreciate the opportunity to be
17 part of this panel today.

18 My prepared remarks will provide
19 perhaps a slightly additional or different
20 perspective on the matter.

21 By way of background, the Babcock
22 and Wilcox Company has a rich legacy of

1 innovating energy solutions. We grew our
2 business over the past 140 years by developing
3 and commercializing practical solutions to the
4 evolving challenges of the power industry.

5 B&W has more than 50 years of continuous
6 nuclear engineering and manufacturing
7 experience. Seven of the large nuclear power
8 plants operating in the U.S. today have been
9 designed, manufactured, and installed by B&W.
10 Many other operating reactors incorporate our
11 nuclear steam supply components.

12 Today we provide customers with
13 nuclear manufacturing and nuclear-related
14 services for more than 17 facilities across
15 North America, including facilities in
16 Indiana, Ohio, Virginia, Tennessee, and
17 Cambridge in Ontario, Canada.

18 We're the only American
19 manufacturer accredited and capable of
20 producing large N-stamped components for
21 commercial nuclear power plants. We have
22 fabricated more than 1100 large nuclear steam

1 supply system components and pressure vessels,
2 including more than 300 nuclear steam
3 generators. We employ directly and through
4 our joint venture companies approximately
5 12,000 U.S. nuclear professionals.

6 About three years ago, B&W began
7 evaluating the shifting nuclear landscape.
8 The potential for climate change legislation,
9 the need for increased energy independence,
10 constraints on the nuclear supply chain,
11 increasingly restrictive capital markets,
12 growing concerns about water rights and
13 transmission capacity, and now a renewed focus
14 on nuclear fuel management are pushing the
15 industry to innovate new approaches to nuclear
16 energy. And as Dr. Lorenzini mentioned, small
17 modular reactors do offer significant
18 potential to begin addressing these challenges
19 in more a practical and affordable manner.

20 We have drawn upon the experience
21 and expertise of electric utilities themselves
22 to help us define the type of SMR technology

1 best suited to meet their near-term needs.

2 Their guidance has helped us recognize that
3 many utilities are not comfortable financing
4 large gigawatt-size nuclear power projects.

5 For example, some smaller electric

6 cooperatives which have historically been

7 unable to include nuclear power plants in

8 their own generation portfolios due to size

9 and cost now view SMRs as a realistic

10 solution. And larger utilities see

11 significant value in small reactors,

12 particularly in providing a more incremental

13 approach to project financing and to meeting

14 projections of more modest system load growth.

15 In the near-term, our utilities'

16 customers want a smaller reactor that uses

17 proven light water nuclear technology that can

18 lever their substantial investment in existing

19 nuclear infrastructure and that can draw upon

20 the well-established conventional nuclear fuel

21 supply chain.

22 We believe the broader adoption of

1 nuclear power as a reliable, proven, carbon-
2 free energy source depends on an incremental
3 approach to innovation in nuclear reactor
4 technology and the nuclear fuel cycle.

5 In response to this range of
6 emerging needs, we have developed the B&W
7 mPower reactor. It's a scalable, modular,
8 advanced light water reactor system that we
9 believe can be certified, manufactured, and
10 operated within today's existing regulatory
11 framework, domestic industrial supply chain,
12 and utility operational infrastructure.

13 The B&W mPower reactor, whose
14 condenser is designed to be air-cooled to
15 address water resource concerns, has the
16 capacity to match utility requirements in 125-
17 megawatt increments while delivering a 4.5-
18 year operating cycle between refueling
19 outages.

20 The B&W mPower reactor system is
21 also located in a secure underground
22 containment structure, which includes a spent

1 fuel pool capable of holding the plant's 60-
2 year design life of the used fuel. While the
3 Blue Ribbon Commission and the nation identify
4 an acceptable long-term disposition path for
5 used nuclear fuel, the B&W mPower design
6 provides for interim underground storage of
7 used fuel.

8 The reactor design is also
9 sufficiently flexible to accommodate a future
10 transition and integration with other longer-
11 term components of a more closed or modified
12 open nuclear fuel cycle.

13 There are many companies currently
14 pursuing the development of small reactors,
15 based on a range of designs from light water
16 technology to more long-term Generation-4
17 concepts. The B&W mPower design is focused on
18 providing the nuclear industry with a low-
19 risk, near-term, evolutionary light water
20 solution. This means that we are building on
21 the successes of our nation's current light
22 water reactor fleet to make conservative,

1 measured advances in the application of
2 nuclear power.

3 Today's light water reactor
4 technology offers exceptional plant safety and
5 operational performance. Public support for
6 nuclear power is generally strong, and comfort
7 with and acceptance of light water technology
8 is exceptional.

9 The importance of these factors in
10 defining a realistic path forward for our
11 nation's nuclear industry should not be
12 underestimated. As our nation looks to
13 nuclear power as a near-term, practical means
14 to address climate change and energy security
15 concerns, we must rely on technology that will
16 be accepted in our communities and technology
17 that builds incrementally on our industry's
18 long and valuable operational experience.

19 Light water reactor technology is
20 ready now. The B&W mPower reactor draws on
21 this proven technology to offer a scalable
22 option for better deployment economics. In

1 the near-term and mid-term, we expect that
2 nuclear utilities will remain committed to
3 light water reactor technology.

4 In the longer-term, advanced fuel
5 may be adopted carefully into the operating
6 fleet to provide the next incremental advance
7 in nuclear power efficiency and economics.
8 Further in the future, the industry may
9 transition to Generation-4 reactors and their
10 associated fuel technologies when they are
11 sufficiently mature and proven.

12 However, in an industry in which
13 safety, reliability, public acceptance, and
14 economics are the critical success factors,
15 progress will surely be methodical,
16 incremental, and measured. This imperative
17 for evolutionary changes in nuclear fuel
18 technology must also be recognized as we
19 develop a new path forward.

20 We believe that the federal
21 government should actively support near-term
22 light water SMR deployment. The Department of

1 Energy has recognized the promise of SMRs in
2 their nuclear energy road map, and this
3 program must be funded and supported in a
4 meaningful way.

5 An effective public/private
6 partnership is critical to help reduce risks
7 and accelerate deployment of this new
8 technology, and a successful cost-sharing
9 program should encompass all deployment and
10 development activities necessary to
11 programmatically address first-mover adoption
12 of this technology.

13 We, as a nation, should plan for
14 long-term accommodation of light water reactor
15 fuel use by the nuclear industry.

16 Generation-4 technologies do offer some
17 appealing potential advantages with respect to
18 used fuel disposition and should, therefore,
19 be pursued to possibly compliment a light
20 water reactor-based fleet. However, this, by
21 definition, is a long-term goal.

22 In the near-term, nuclear

1 utilities, the financial community, the NRC,
2 and the American public will only be
3 comfortable with light water reactor
4 technologies, including fuel, that have a long
5 and proven history of successful and safe
6 operation in the United States.

7 If we are to take advantage of
8 nuclear power's benefits, we must plan to
9 manage used nuclear fuel in a way that
10 acknowledges light water reactor and fuel
11 technology as the foundation of our nation's
12 commercial nuclear power industry for the next
13 several decades.

14 I would like to close by
15 discussing utility interest in SMRs. For
16 example, the mPower Industry Consortium
17 currently includes 14 utilities, including TVA
18 and First Energy, among others. These
19 companies are leading the market for light
20 water SMRs, and together with the Department
21 of Energy, have shaped a road map for
22 industry's adoption of this new technology.

1 We need to support the utility
2 industry and the DOE in their efforts to help
3 our nation develop a practical, evolutionary
4 approach to nuclear power.

5 Thank you.

6 CHAIR PETERSON: Thank you, Mr.
7 Mowry. I appreciate very much your comments.

8 Our next speaker will be Dr. Bob
9 Hargraves, please.

10 DR. HARGRAVES: Aim High is a
11 project with lofty goals. Global warming is
12 a serious threat to our civilization. Another
13 serious threat, world population growing to 9
14 billion people. Already, competition for
15 resources such as food and energy has depleted
16 fisheries and led to wars.

17 This scatterplot relates income to
18 birth rates. The data for 84 nations are
19 taken from the CIA World Fact Book. To the
20 right, you see the low GDP per capita for
21 countries with high numbers of children per
22 woman.

1 Population scientists observe that
2 birth rates less than about 2.3 children per
3 woman are less than the population replacement
4 rates. To the left of this line are the U.S.
5 OECD and other nations with high incomes and
6 low birth rates.

7 A prosperity level of about \$7500
8 per capita per year distinguishes those
9 nations with stable population replacement.
10 Prosperity enables women to reduce labors of
11 subsistence living, freeing them for
12 education, work, independence, and choices
13 about reproduction.

14 This scatterplot, also from the
15 CIA data, relates income to energy,
16 specifically electrical energy. Electrical
17 energy is important for water, sanitation,
18 food, heating, cooling, lighting,
19 transportation, communications, manufacturing,
20 and business. It takes about 2,000-kilowatt
21 hours per year per capita, which is one-sixth
22 of the U.S. usage, to achieve the \$7500 level

1 of prosperity that leads to stable population
2 replacement.

3 Developing nations want energy to
4 improve their prosperity. DOE projects that
5 they will burn coal and emit more CO₂, making
6 global warming worse.

7 Carbon taxes such as cap-and-trade
8 are not accepted here in the U.S., and
9 certainly not in the developing nations, who
10 will not forego the advantage they perceive
11 OECD nations had from burning fossil fuels.
12 An alternative is to undercut coal power
13 economics with nuclear energy cheaper than
14 coal.

15 In the Cold War, Oak Ridge
16 scientists conceived the molten salt reactor
17 to be a compact, 200-megawatt heat source to
18 power jet engines of bombers that could circle
19 the Soviet Union without refueling. The first
20 molten salt reactor proved the concept, and
21 the fireball aircraft reactor was designed,
22 but not built because ICBMs obsoleted the

1 bombers.

2 Alvin Weinberg foresaw today's
3 energy and atmospheric CO2 crises. He
4 directed Oak Ridge to design and test another
5 successful molten salt reactor experiment. It
6 was tested with U-233, intended to be made
7 from thorium.

8 Nuclear fission of U-233 takes
9 place in the central core of a liquid fluoride
10 thorium reactor. Some released neutrons
11 continue the chain reaction, and some pass
12 into the thorium blanket surrounding the core,
13 converting thorium to U-233.

14 The uranium separator on the left
15 sends thorium back to the blanket and U-233 to
16 the core to replace that which was consumed.
17 Fission product waste is similarly separated.
18 Heat from fission in core is exchanged with a
19 salt that heats the gas that runs the turbine
20 generator.

21 Using thorium for fuel is one key
22 concept. Another idea is the liquid fuel

1 form. Uranium and thorium are dissolved in
2 molten salts of lithium and beryllium. The
3 liquid's high-heat capacity enables high
4 temperatures, efficiency, and compactness.
5 Chemical processing takes place in continuous
6 streams.

7 The LFTR is started up with a
8 fissile material, but none is transferred in
9 or out thereafter. Thorium is inexhaustible,
10 unlike uranium.

11 Once fission products decay, the
12 long-lived radiotoxic actinide waste from LFTR
13 are orders of magnitude less than from today's
14 power reactors.

15 LFTR may make energy cheaper than
16 from coal at a capital cost near \$2 a watt.
17 One indication is that five independent,
18 historical cost estimates center on \$1.98 per
19 watt.

20 Another reason is that the LFTR
21 needs no costly 160-atmosphere pressure vessel
22 and containment dome. LFTR is small. The

1 workman in the center of the AP1000 is about
2 the same size as the fireball molten salt
3 reactor designed for flight.

4 Intrinsic safety reduces the need
5 for costly defense-in-depth. There are no
6 pressurized radioactive materials to contain.
7 The fuel is already melted down. Loss of
8 power drains fuel to safe dump tanks.

9 The high-heat capacity of molten
10 salt allows a compact core and high
11 temperature. The high temperature enables
12 power conversion efficiencies up to 50
13 percent, halving today's water-cooling
14 requirements or enabling air cooling.

15 Factory production cuts costs.
16 Boeing Aircraft produces similar cost units
17 with similar concerns about materials,
18 quality, and life safety. Factory-produced
19 reactors will benefit from the learning curve
20 expected to reduce costs about 10 percent for
21 every doubling of units produced.

22 I recommend a specific project to

1 develop LFTR in five years for approximately
2 \$1 billion, as the Gen-4 International Forum
3 suggests. Then provide to the nuclear
4 industry all the R&D knowledge and encourage
5 factory production and competition.

6 What would be the benefit of
7 installing a 100-megawatt unit each day? If
8 LFTRs replace coal power plants, 10 million
9 tons of worldwide CO2 emissions will be zeroed
10 out in 38 years.

11 A high-temperature LFTR allows
12 efficient dissociation of water to make
13 hydrogen, which is a feedstock to synthesize
14 fuels. We can recycle some carbon from coal
15 plants to synthesize gasoline and diesel fuel
16 substitutes or make ammonia for non-carbon
17 fuel or fertilizer.

18 Providing the developing nations
19 with safe, affordable electric power can
20 increase their prosperity to allow lifestyles
21 that include lower birth rates, stabilizing
22 world population.

1 But advanced nuclear fission R&D
2 funding has dropped, and there is none for
3 LFTR. Compared to the \$16 billion spent on
4 liquid metal fast breeder reactors, DOE will
5 spend \$103 million on the prolonged, high-
6 temperature gas reactor development. The
7 advanced fuel cycles budget has no money for
8 closed fuel cycles nor for liquid fuels.

9 A specific LFTR project would have
10 specific results: cut 10 billion tons of CO2
11 emissions by 2058, avoid carbon taxes, improve
12 the developing world prosperity and check
13 population growth, avoid weapons proliferation
14 by obviating the need for uranium enrichment
15 plants, reduce radiotoxic waste and consume
16 world fissile material stocks, and use
17 inexhaustible thorium fuel available to all
18 nations.

19 Thank you.

20 CHAIR PETERSON: Thank you, Dr.
21 Hargraves.

22 Our next speaker is Dr. Thomas

1 Cochran from the Natural Resources Defense
2 Council.

3 Tom?

4 DR. COCHRAN: Chairmen and
5 Commissioners, thank you for this opportunity.

6 With apologies to Commissioner
7 Eisenhower, I'm going to start with an opinion
8 rather than a fact to illustrate a point that
9 I will get to later. But closer to facts are
10 slides shown at Phil Sharp's Resources for the
11 Future Program by one of your other
12 Commissioners, John Rowe, which he used to
13 argue why he is not prepared to build a new
14 nuclear plant today, because the capital costs
15 are too high.

16 So my point is that new reactor
17 unit costs and the cost per kilowatt are both
18 too high for new nuclear to be competitive in
19 the United States. You will see some new
20 plants, but not a significant number beyond
21 what is heavily subsidized by the government.
22 On the other hand, nuclear fuel and O&M costs

1 are low and, in my opinion, will remain so for
2 the foreseeable future.

3 And my point is that DOE's nuclear
4 energy R&D program is principally focused on
5 the back-end of the fuel cycle and on
6 subsidizing new reactor licensing and
7 construction, and both of these are misplaced
8 priorities.

9 Now when I got in this business
10 around 1971, the AEC had written some
11 cost/benefit analyses and was saying that
12 capital costs of the light water reactor were
13 on the order of \$150 a kilowatt and would be
14 coming down to a learning curve. And that's
15 probably in constant dollars in the range of
16 \$700 a kilowatt today. So the capital costs
17 have gone up by roughly a factor of 10.

18 On the other hand, since 1944,
19 when Alvin Weinberg and Fermi and Szilard and
20 others, Wigner, decided to light atomic cities
21 with nuclear power, they thought uranium was
22 scarce and they opted to go for a breeder

1 reactor program. And as it turns out, that,
2 too, was a fundamental error in judgment. It
3 was true at the time because all the uranium
4 was going to weapons, but it turns out uranium
5 is much more plentiful and the cost of uranium
6 long-term, discounting a couple of spikes, in
7 constant dollars, the fuel costs have gone
8 down or stayed fairly constant for the last 40
9 years or so.

10 Yet, our R&D program is based on
11 research on more ways to increase the cost of
12 the fuel rather than on ways to reduce the
13 cost of the reactors, the federal research,
14 not the industry research.

15 So what should the government
16 focus be? First of all, in my view, it should
17 be on improving safeguards of the nuclear fuel
18 cycle because that's where the problem is, on
19 the fuel cycle side, and getting the
20 repository program back on track.

21 The industry focus, and it's
22 certainly the focus of the gentleman on this

1 panel who has spoken just prior to me, is to
2 try to reduce the cost, the reactor cost and
3 the unit cost.

4 Now what is the government role
5 here? I think the government role is to
6 engage in educating new, young nuclear
7 scientists at the universities and getting
8 engaged in fundamental science research that
9 has applicability not only to new nuclear, but
10 also other energy technologies.

11 Commissioner Peterson made an
12 argument for looking at novel ways or new ways
13 or different ways of lowering the cost of
14 construction, the cost of reinforced concrete.
15 There are other examples, and some examples
16 that DOE is engaging in in research today.

17 I don't think the government
18 should be subsidizing the construction costs
19 of new nuclear power plants. This is a mature
20 industry, and there will be many people coming
21 with ideas for new reactor designs, and they
22 can certainly put together consortia and build

1 these, if they think there's an economic case,
2 without coming to the federal trough to get
3 fed.

4 I'm pleased that NuStart has not
5 approached the government. NuStart, probably
6 with its collection of some 10 utilities and
7 energy companies as well as EDF, Electricite
8 de France, and GE I believe or Westinghouse,
9 or whoever, probably has more assets than the
10 Department of Energy at its disposal. So they
11 certainly don't need government assistance to
12 subsidize a good idea.

13 I want to say something about fast
14 reactors because we had some discussion of
15 that by the earlier panel. I agree most
16 closely, I guess, with Alan Hanson on his
17 assessment of fast reactors.

18 Again, we got into this business
19 in 1944; globally, have spent probably on the
20 order of \$100 billion trying to develop liquid
21 metal fast reactors and other fast reactors,
22 but primarily sodium-cooled. These programs

1 have been universal failures, I think
2 primarily because of proliferation, the higher
3 capital costs of these reactors relative to
4 light water reactors, which is why you see one
5 commercial-size fast reactor globally and 440
6 or so thermal reactors globally. They are not
7 economical, and, also, they have shown
8 historically poor reliability. I helped co-
9 author a report on the history and status of
10 fast reactors that I shared with you
11 previously.

12 So I don't believe fast reactors
13 will contribute to reducing the repository
14 burden by burning actinides, primarily because
15 it would require a shift to where some one-
16 third of your fleet is fast reactors, and it
17 simply is not going to happen because of the
18 economics.

19 The fast reactors have an
20 additional safeguards problem over the one-
21 pass plutonium recycle, MOX recycle, in that
22 the fast reactors are fueled with about five

1 tons the plutonium per gigawatt, taking the
2 Superphenix as an example. Then you would
3 need, oh, two or three times as much plutonium
4 flowing through the fuel cycle as in the core
5 of the reactor. So there will be a huge
6 inventory of plutonium.

7 And I also think that even the R&D
8 on this technology is a serious proliferation
9 risk. If you would go to Oak Ridge, you could
10 see a single hot cell where the Oak Ridge
11 scientists demonstrated the advanced aqueous
12 reprocessing technology from reprocessing
13 spent fuel to production of 3 MOX pellets.

14 That facility, the staff that
15 operates that facility and the materials that
16 would flow through that facility are an ideal
17 weapons program. So, when you hear
18 discussions about proliferation-resistance of
19 the fuel, you should not stop there. You
20 should think about the spread of the
21 technology, including the R&D technology,
22 which I think represents a serious risk.

1 Now just one last comment.

2 Earlier today, you heard a number of people
3 talk about the rest of the world is going
4 forward with reprocessing, regardless of what
5 we do, and that is France and Japan and Russia
6 and India, China. Also, the Netherlands
7 reprocesses some in France. But you didn't
8 hear them balance their presentation by
9 telling you the following countries have
10 abandoned the reprocessing: the United
11 States, Germany, the Ukraine, the United
12 Kingdom, Sweden, Spain, Belgium, Switzerland,
13 Finland, Bulgaria, the Czech Republic, the
14 Slovak Republic, Hungary, and Armenia. And
15 the following have not yet reprocessed: South
16 Korea, Canada, Taiwan, Brazil, South Africa,
17 Mexico, Lithuania, Argentina, Slovenia,
18 Romania, and Pakistan.

19 So I don't think it's a foregone
20 conclusion that the rest of the world is going
21 to head down a more costly once-through
22 reprocessing track or develop and deploy large

1 numbers of fast reactors.

2 Thank you.

3 CHAIR PETERSON: Thank you, Tom.

4 Our final speaker for this panel
5 session is Dr. Geoff Rothwell, Geoff from
6 Stanford University.

7 DR. ROTHWELL: Okay. So, to
8 introduce myself, because according to this
9 list, I represent Stanford University, and I
10 don't think Stanford has designated me as a
11 representative on this issue.

12 So, just to give you an idea of
13 who I am, I grew up in Richland, Washington.
14 So I can say that my father's aqueous
15 reprocessing is PUREX. I was there. I put my
16 hands in the glovebox.

17 Also, to give you a little bit of
18 my background and biases, I have been working
19 on Generation-4 since 2003. I've worked on
20 GNETP. I'm working for DOE NA through Pacific
21 Northwest National Laboratory in Richland, and
22 now I am also a contractor with the University

1 of Chicago-Argonne.

2 The statement that I've handed out
3 -- and Matt is handing out my presentation and
4 statement to the audience, I believe -- okay,
5 this is from a chapter in a policy review
6 being done at Johns Hopkins University.
7 Several of the panel members are in this room
8 right now.

9 The bottom line is that all
10 alternative fuel cycles for the light water
11 reactor used fuel and high-level waste
12 required geologic sequestration. So I suggest
13 the U.S. focus on finding a repository site
14 and, when found, optimize reprocessing and
15 recycling to best use that site with the
16 budget constraints that we have.

17 The economics of MOX recycle,
18 there are studies out there that show that
19 these two, the once-through and MOX recycle
20 alternatives are similar in terms of
21 economics, and this is under two crucial
22 assumptions.

1 First is that the cost of capital
2 is not greater than 3 percent. That means
3 that the U.S. Government is assumed to pay for
4 everything. Okay? Assumed to accept all the
5 risk. So we can come up with the economics to
6 show that MOX is about the same cost as once-
7 through if the government pays for everything
8 and accepts all the risks.

9 You can show it as a fact, if you
10 make the certain assumptions, that these
11 alternatives are approximately the same, if
12 the government pays for everything and you
13 never place the MOX in the repository. Okay?
14 With those two assumptions, you can get the
15 economics to be approximately the same.

16 Now, on the economics of fast
17 reactor recycle, this is a problem when
18 there's too many unknown unknowns. Okay? We
19 have some known unknowns and some unknown
20 unknowns, and the problem with trying to get
21 markets to work here, and we're going to be
22 encountering this over and over again, and

1 every time you try to get the commercial
2 sector involved, is that markets do not do
3 well with unknown unknowns. The financial
4 markets are very risk-averse at this moment
5 and should be risk-averse for the foreseeable
6 future.

7 So it is the role of the
8 government to reduce those, to identify
9 unknowns so that they're then known unknowns
10 and reduce the uncertainty associated with
11 known unknowns. That is what the government
12 should be doing.

13 At that point, once those
14 uncertainties are resolved, then markets can
15 step in and we can have, you know, a market in
16 reprocessing, a market in repository, and so
17 forth. But, until these unknowns are
18 identified and quantified, so that a financial
19 analyst can give a reasonable estimate of what
20 the risk premiums are, what the costs of
21 capital are, even though we've got plenty of
22 commercial entities out there that are willing

1 to step up and accept the government's money
2 to start this program, Wall Street is not
3 going along with it, as long as there's a lot
4 of uncertainty. And there's a lot of
5 uncertainty here, and it's up to the
6 Commission to try to reduce that uncertainty,
7 try to identify the risks, quantify those, and
8 move on.

9 So what can we do right now?

10 Well, this afternoon you could introduce, or
11 somebody could introduce, legislation to
12 strike certain parts of the Nuclear Waste
13 Policy Act. Those parts that need to be
14 struck this afternoon are in Section 148(d),
15 Licensing Conditions. "Any license issued by
16 the NRC for a monitored retrievable storage
17 facility under this Section shall provide
18 that, one, construction of a facility shall
19 not begin until the NRC has issued a license
20 for the construction of a repository under
21 Section 115(d). Two, construction of such
22 facility shall be prohibited during such a

1 time as construction of the repository
2 ceases." And, finally -- there's a lots of
3 two's and three's and four's in there -- "Such
4 facility at any one time may not exceed 15,000
5 metric tons of heavy metal."

6 Personally, I believe after
7 growing up in Richland, I can live with this
8 stuff, you know. This is not something that
9 we have to bury immediately, we have to
10 reprocess immediately. What we need
11 immediately is to get the stuff off of some of
12 the nuclear power plant sites, those sites
13 that have been decommissioned or in the
14 process of decommissioning, and we need to get
15 that used fuel centralized.

16 Okay, what can be done soon? We
17 should be optimizing -- this is what DOE
18 Nuclear Energy can put money in, the
19 government can put money in, the industry can
20 put money in, to optimize the light water fuel
21 cycle, to reduce used fuel.

22 We should reconsider the economics

1 of MOX reprocessing after we've started a MOX
2 market in the United States. Right now,
3 that's a subsidized market. If it remains
4 subsidized, then we have to consider whether
5 those subsidies are being spent in the right
6 place. But, for right now, MOX is not
7 commercial. We should see, after the
8 completion of the Savannah River facility, we
9 should see MOX in America, and at that point
10 we can decide whether we want more MOX in
11 America.

12 Lastly, we need to reduce
13 uncertainties in the fast reactor recycle
14 because that's basically, if everything was
15 perfect and cheap, that's probably the way we
16 would go. But it's not perfect, it's not
17 cheap, and so we need to reduce these
18 uncertainties, so we can evaluate that
19 alternative more correctly.

20 So thank you very much for your
21 attention, and I hope the audience got a hold
22 of my statement. Thank you very much for your

1 time.

2 CHAIR PETERSON: Thank you.

3 Now we do have time for questions,
4 and I will go ahead and kick that process off.

5 I would first like to thank all of
6 the panelists for presentations. They were
7 very helpful. Combined with the presentations
8 from the previous panel, it gives us a lot of
9 information to work with.

10 I have three questions I would
11 like to pose, and then I will turn things over
12 to other Commissioners.

13 The first question is for Tom
14 Cochran. Tom, in looking at the question of
15 the economics of new nuclear plants, this
16 really is an important issue because it does
17 have to do with whether or not they can be
18 competitive going forward as a source of
19 energy.

20 So there's one thing you didn't
21 mention in noting that the first plants that
22 are going to be built are marginally economic

1 in terms of the prices, which is a carbon tax
2 or carbon cap-and-trade and its impact on
3 relative competition. Of course, NRDC has a
4 position on carbon cost.

5 Then the other part is associated
6 with the fact that, in general, usually the
7 first unit of a reactor type will be more
8 expensive to build than the last. This has,
9 for example, been clearly demonstrated with
10 the experience in Korea, where the first units
11 were about 30 to 40 percent more expensive
12 than the subsequent units.

13 And in general, if we look at
14 renewable energy, we tend to have policies
15 that are willing to subsidize some of those
16 first-of-a-kind costs in anticipation that
17 that will bring forward the technologies that
18 can subsequently be competitive without those
19 initial subsidies. Of course, it is a small
20 modular reactor; that happens a lot faster.

21 But could you comment on the
22 consistency of position around subsidies for

1 first-of-kind costs and then also on carbon
2 cost?

3 DR. COCHRAN: Well, on the first-
4 of-a-kind cost, we did that with nuclear. We
5 subsidized the first generation of nuclear
6 plants, and now we have a mature industry and
7 competition, and they can stand on their own
8 two feet. We don't have to continue ever
9 after subsidizing mature energy technologies.

10 So I think there's a role for the
11 federal government involvement upfront for new
12 technologies, concepts such as a production
13 tax credit to build an infrastructure to bring
14 the first-of-a-kind costs down.

15 But, secondly, against my advice,
16 the federal government chose in the 2005
17 Energy Act to subsidize first-movers. This
18 was after one of the Commissioner's and his
19 colleagues had recommended that perhaps we
20 should subsidize a few first-movers to the
21 tune of on the order of \$200 million a plant
22 to see if there's any real interest out there.

1 By the time Commissioner Domenici
2 and his colleagues got through with that
3 proposal, it was a billion dollars a plant
4 subsidy, and that generated, you know, 20
5 proposals for new plants, some of which were
6 built. But one of the underlying objectives,
7 which was standardization of a couple of new
8 designs, was not achieved by that proposal.
9 Instead, we've got a whole slew of
10 alternatives.

11 So I think we don't need to get
12 into that business of subsidizing first-movers
13 for small modular reactors. As others have
14 observed, if it were clear that these small
15 modular reactors were economic, they would be
16 doing them today. If it were unclear, you
17 wouldn't have all of these people sitting
18 alongside me with their proposals for new
19 reactors.

20 Let them put their own money up
21 and take the risk and see if they've got a
22 product that can compete. I think it's going

1 to be a tough road because we have spent two
2 decades building bigger and bigger reactors,
3 trying to achieve economies of scale, and now
4 the argument is that the manufacturing costs,
5 savings, will offset those economies of scales
6 and these things will be competitive.

7 I'm all for them using their money
8 and Bill Gates' money to build these first-of-
9 a-kind. Just stay away from the federal
10 trough.

11 CHAIR PETERSON: Okay, now on the
12 carbon issue?

13 DR. COCHRAN: Okay. I learned my
14 economics, I'm not an economist, but I learned
15 my economics two years at Resources for the
16 Future.

17 We should pay the social cost of
18 carbon. The most economical way to address
19 the carbon issue is to regulate the emissions
20 of carbon and let the market establish a
21 price. And you either do that through the cap
22 or through a tax. We were unsuccessful with

1 the cap. But that's certainly the most
2 economical way to regulate this pollutant. It
3 is the way we regulate other pollutants.

4 The alternative of subsidizing
5 your favorite technology is a very inefficient
6 way to address the carbon problem.

7 CHAIR PETERSON: Okay. You
8 didn't, of course, address the question about
9 NRDC's position on subsidizing renewable
10 energy sources.

11 DR. COCHRAN: I said I think
12 there's an appropriate federal role for
13 subsidies. It includes subsidizing new
14 technologies that are attractive and are
15 trying to enter the marketplace. At some
16 point, there comes a time when the federal
17 government should get out of the subsidy
18 business.

19 Certainly we can debate whether
20 that time has arrived for wind power and some
21 other renewables. I don't think there's any
22 debate, at least at NRDC, that that time has

1 long past for nuclear power, which has been in
2 the market for 40-50 years.

3 CHAIR PETERSON: Okay. Now I
4 would like to open the floor to the question
5 of whether or not reactors are a mature
6 technology and whether or not, in fact,
7 there's the possibility that you can do things
8 that are substantially different than as in
9 the current fleet that would be beneficial,
10 but as with other energy technologies,
11 probably needs some federal help.

12 Chris?

13 MR. MOWRY: Well, first of all,
14 just I think we all need to recognize that I
15 believe wind power has been around several
16 centuries, and it has evolved quite a bit. So
17 I'm not sure where you draw the line in
18 maturity of technologies, but I could
19 certainly argue that wind certainly has had
20 enough time to become mature.

21 But perhaps on a more serious
22 note, a couple of things I would like to

1 correct. First of all, from a B&W
2 perspective, the purpose of developing SMR
3 technology is not, repeat, is not to reduce
4 the overnight capital cost in terms of dollars
5 per kilowatt, because we do not believe that
6 that is the impediment to faster, broader
7 adoption of commercial nuclear power in the
8 industry.

9 The impediments are cost and
10 schedule certainty associated with
11 megaprojects, No. 1, and, second, the absolute
12 magnitude of the investment that is required
13 to build a large power plant. The fact is
14 that a large power plant, the capital cost of
15 a large power plant exceeds the market
16 capitalization of almost every utility in the
17 United States. That is what we are trying to
18 address.

19 We don't believe that the
20 overnight capital cost of light water reactor
21 technology is a problem because, when you're
22 a utility, you don't really measure the

1 economics of a project by purely overnight
2 cost. You also factor in fuel costs. And for
3 commercial light water reactors, fuel cost is
4 approximately equivalent to 50-cent gas. So
5 you are really looking at the total life cycle
6 cost of a power plant.

7 And in that perspective, depending
8 on who you talk to and under what conditions
9 you're considering an investment, SMRs could
10 be competitive with gas in the \$5-to-\$6 range.
11 And certainly, if you apply some type of
12 carbon tax, they are very competitive.

13 So I think you have to understand
14 what the challenge is that the industry is
15 facing today and why there are not more
16 adopters of large reactors. We don't believe
17 it has anything to do with the overnight
18 capital cost, but it has to do with the
19 structural challenges that a free-market
20 economy has in financing megaprojects. So I
21 think that that is one thing that has to be
22 factored into the overall approach here.

1 DR. LORENZINI: Yes, I would echo
2 those remarks and perhaps add a couple of
3 other thoughts. I think it is hard to
4 describe an industry as mature when the last
5 plant that was built was ordered in 1973.
6 There was something wrong, if that's
7 considered a mature market, and no more plants
8 have been ordered. So something needed to
9 change.

10 Secondly, I think when you talk
11 about subsidies, the threshold question should
12 be: what's in the national interest? If it's
13 in the national interest to pursue these
14 technologies and help them get to the market,
15 then that's something that ought to be
16 considered in the area of subsidies. That,
17 clearly, was the argument for wind. It was
18 clearly the argument for renewables.

19 And if we are in a situation today
20 where carbon is an issue, where there are only
21 three sources of baseload electricity, and two
22 of them are huge carbon producers, and nuclear

1 is the one that isn't, then there ought to be
2 a national interest in seeing what can be done
3 to develop an industry that has been dead for
4 30 years. So I think that's the perspective
5 that I would suggest we think about, when we
6 think about subsidies.

7 The other thing, I would echo the
8 notion that the issue here is the total
9 capital cost of a new plant, but I would argue
10 that for years the belief has been that you
11 have to build big plants to be economic. I do
12 think what we have done is we have shown that
13 you can build small plants that are also
14 competitive on a dollar-per-kilowatt basis.
15 And that has changed the conversation.

16 And it's not just because you're
17 looking at manufacturing. It is because of
18 the simplicity of the designs. I mean you
19 look at our design. There's no pumps, there's
20 no pipes in the primary system. It's a very,
21 very simple design.

22 So we save money by eliminating a

1 whole bunch of equipment that you don't have
2 to buy. We call that the economies of small.

3 So I do think that there is now a
4 new piece of information that we can achieve
5 a price point that is competitive, in addition
6 to putting a plant on the market that can
7 avoid some of the large upfront investments.
8 And if that's the case, and add to that the
9 national interest in creating a U.S.
10 manufacturing base that could be used for
11 export, which small modular reactors can also
12 do, they not only create an export market,
13 they import jobs that are currently going
14 overseas.

15 So I think there are a number of
16 ways of looking at the small reactor market
17 and viewing it as something that is in the
18 national interest.

19 CHAIR PETERSON: John?

20 DR. PARMENTOLA: I think I agree
21 with some of what has been said, but I think
22 in the case of the concept that I described,

1 there are significant research issues involved
2 here. We don't have the knowledge completely
3 to be able to do what I described.

4 And as such, my opinion, the
5 federal government -- and I participated in
6 federal government for many years -- its role
7 is to either do what private industry can't do
8 or won't do. One thing private industry
9 doesn't do is high-risk research.

10 So, in my case, the reactor that I
11 described, which is a small modular reactor,
12 and I can make the arguments, the same
13 arguments that have been made here about
14 overnight costs and controlling schedule and
15 using replacement parts manufacturing and
16 supply chain management, Lean Six Sigma, and
17 all those things that enable you to control
18 and drive down cost.

19 There still is a set of research
20 issues that are high-risk that need to be
21 addressed. In my opinion, the federal
22 government should intervene and try to address

1 those issues in order to get to those five
2 problems, national issues that I described.

3 CHAIR PETERSON: Okay. Let me
4 follow up with one more question, and then
5 I'll turn things over to the other
6 Commissioners.

7 Chris Mowry mentioned some of the
8 impediments to new reactor development
9 construction, such as constraints on the
10 supply chain and potential need for some
11 federal support. There's also the question of
12 licensing of new reactors. The next panel
13 session actually is going to dig into that,
14 and then we'll have NRC here as well.

15 But I have a question for NuScale
16 and B&W because you are entering into this
17 design certification process, which is, if you
18 look at the FDA, they actually have a phased
19 licensing process that allows you to address
20 some really fundamental questions early on and
21 provides off-ramps along the way.

22 And pre-certification review with

1 the NRC does some of that, but not really in
2 a formal way. From your experience, would it
3 be helpful if one could come up with a more
4 systemic, phased process for licensing of new
5 reactors?

6 MR. MOWRY: I think, from our
7 perspective, it is actually yes and no. All
8 right? And I think it depends on the
9 technology and the program and the problems
10 you're trying to solve.

11 I think that is where you see a
12 bifurcation of the approach that is optimized,
13 let's say, for near-term Generation-3 SMRs and
14 Generation-4 SMRs. Generation-3 SMRs I would
15 say, generally speaking, search to find a
16 solution that fits within the current
17 regulatory framework.

18 In that regard, technology changes
19 that also require changes in regulation don't
20 really fit within the goal of an SMR. Because
21 the goal of a light water reactor SMR is
22 really to provide a near-term deployment

1 option.

2 I think, actually, this ties back
3 into the subsidy question. You know, the
4 utility industry has taken advantage of the
5 recession to start retiring a lot of old coal
6 units that do not have any environmental
7 controls on them. That's because the
8 requirements for electricity generation in the
9 United States have actually gone down over the
10 past couple of years.

11 By the end of the decade, that
12 trend under almost all possible future
13 scenarios is going to reverse, and as Dr.
14 Lorenzini mentioned, you're going to need new
15 baseload power generation. So utilities are
16 going to be building baseload power plants.
17 So it comes down to a question of timing, and
18 we view a public/private partnership more as
19 a matter of accelerating risk management than
20 creating a vehicle to adopt a technology that
21 is not viable on its own.

22 We believe, ultimately, this is

1 going to be viable. The question is, what
2 role does the government have in adopting or
3 creating technology options for the industry
4 that are aligned with the climate change
5 requirements?

6 CHAIR PETERSON: That makes sense.
7 B&W would not be putting its own money into
8 this technology if it didn't believe there was
9 a commercially-viable product.

10 Paul, could you amplify?

11 DR. LORENZINI: Well, yes, I guess
12 I would support the idea. If you look at
13 where we are and you say, how far are we away
14 from getting a certified design, it's probably
15 five years from today.

16 Customers that would make
17 decisions today don't want to make a decision
18 if they're waiting five years to get any kind
19 of certainty. Now there are interim points
20 along the way in the process where you start
21 getting certainty. So it's not as if you
22 don't get some preliminary feedback.

1 But more feedback earlier,
2 particularly on the key issues, would, I
3 think, strengthen the process in terms of
4 comfort with the technology, both for
5 investors and for customers. Those are two
6 critical issues for us.

7 CHAIR PETERSON: Very good. I
8 think at this point I will turn things over.

9 Actually, I was making a list.
10 So, Allison, you have a question, and then
11 maybe Dick and then Susan. Okay, Allison?

12 MEMBER MacFARLANE: Okay. I have
13 actually three quick questions.

14 The first is for Geoff. And
15 seeing how we're talking about small modular
16 reactors, I'm interested in your take on small
17 modular reactors. I mean we haven't built
18 small reactors; the whole global nuclear
19 industry has not built small reactors. And
20 I'm curious as to whether you think that they
21 are economically-viable. We will start with
22 that. And once you answer that, then I will

1 go on to the next question.

2 DR. ROTHWELL: Submarine reactors
3 are small modular reactors.

4 MEMBER MacFARLANE: Yes, but they
5 didn't have to be economically-viable.

6 DR. ROTHWELL: Well --

7 MEMBER MacFARLANE: They didn't
8 have to survive in a marketplace.

9 DR. ROTHWELL: Well, actually,
10 I've just been hired by the University of
11 Chicago and Argonne to look at this. So, you
12 know, these are my impressions rather than
13 immediate research.

14 That is, it depends on how many
15 modules you can get on the site. If you are
16 only talking about one or two modules, it is
17 not that economic.

18 MEMBER MacFARLANE: So what is the
19 size limit here in terms of megawatts-
20 electric?

21 DR. ROTHWELL: It depends on what
22 the balance of plant is, that part that you

1 have to build --

2 MEMBER MacFARLANE: Yes.

3 DR. ROTHWELL: -- upfront, where
4 you could add modules to it. So it is the
5 cost breakdown between the balance of plant
6 that has to be built --

7 MEMBER MacFARLANE: No matter
8 what, right.

9 DR. ROTHWELL: -- whether you have
10 one module or six modules and then the cost of
11 the modules. The cost of the modules should
12 follow this learning curve, but the balance of
13 plant need not follow a 10 percent learning
14 curve.

15 MEMBER MacFARLANE: Right.

16 DR. ROTHWELL: But I'm supposed to
17 have my stuff done in a couple of months for
18 Argonne.

19 MEMBER MacFARLANE: Okay. I would
20 be interested in seeing it.

21 Okay, the next question. For all
22 of you new reactor people, I am interested in

1 that all these reactors are being put
2 underground. So what are the issues there?
3 What are the additional costs of putting them
4 underground and what are the difficulties when
5 problems come up with your reactor and dealing
6 with those problems when it's underground?

7 I assume you are putting them
8 underground for safety reasons, but tell me
9 more about that.

10 DR. LORENZINI: Well, I will speak
11 for our plant. It is not really underground.
12 It is below grade. There's a distinction.

13 We build a building that goes down
14 75 feet, and there's a pool of water. The
15 people that are on top are at grade level.

16 MEMBER MacFARLANE: Right.

17 DR. LORENZINI: So it's below
18 grade. We do it because there is a security
19 advantage to that, and we do it because we
20 have seismic advantages to doing that.

21 MEMBER MacFARLANE: Yes.

22 DR. LORENZINI: We do it because,

1 by having the module immersed in a pool of
2 water, we get safety advantages by doing that.
3 And we really don't see huge issues. You dig
4 a big hole in the ground for a conventional
5 plant anyway. So digging a hole in the ground
6 is not per se --

7 MEMBER MacFARLANE: No, no. Okay.
8 Because there's a cost --

9 DR. LORENZINI: It's not that
10 different. Yes. Yes, it's not that different
11 in terms of cost.

12 In terms of our cost, you know, I
13 will give a little commercial here. If you
14 look at our plant, basically, onsite we have
15 a civil construction job. I mean we build a
16 basic concrete structure that is fundamentally
17 full of water, and we bring the reactors in
18 from the outside.

19 We've got a certification plan for
20 a 500-megawatt plant. So we can take
21 advantage of the point that Geoff made.

22 But if you're on the Island of

1 Saipan, for example, and you've got a 70-
2 megawatt load, and you've got an \$80-million-
3 a-year fuel bill because all of your fuel
4 comes from diesel, suddenly, the price point
5 for a two-module plant starts looking pretty
6 good, even though it's high -

7 MEMBER MacFARLANE: Yes.

8 DR. LORENZINI: -- sure, in the
9 U.S. market.

10 So you have to look at this not
11 only from the U.S. market standpoint, but from
12 the global market standpoint --

13 MEMBER MacFARLANE: Right, right.

14 DR. LORENZINI: -- and that's a
15 huge, huge market for us as well.

16 MEMBER MacFARLANE: Right. Okay.

17 And then the third, last question,
18 is mostly for John, but maybe Tom wants to
19 jump in, too.

20 That this kind of reactor, the
21 gas-cooled fast reactor that you guys are
22 proposing, I assume -- I think I know -- that

1 one or two have been built in the past. I am
2 wondering how successful it was and whether
3 you think it's relevant at all to what you are
4 proposing to do.

5 DR. PARMENTOLA: Those are both
6 thermal reactors. One was Peachbottom, which
7 was a small modular reactor. It was 50
8 megawatts. It had a high-duty cycle of
9 reliability.

10 And then there was Fort St. Vrain,
11 which was a large reactor. I believe it was
12 like 350 megawatts.

13 MEMBER MacFARLANE: Yes, but have
14 there been fast --

15 DR. PARMENTOLA: No.

16 MEMBER MacFARLANE: No?

17 DR. COCHRAN: GA proposed a gas-
18 cooled fast reactor in competition with a
19 liquid metal fast reactor and the molten salt
20 reactor, and they lost out to the liquid
21 metal. This was in the early seventies. They
22 found some old designs, and they are coming

1 back.

2 DR. PARMENTOLA: Yes, but, as I
3 said, those are thermal reactors.

4 MEMBER MacFARLANE: Right.

5 DR. COCHRAN: Not the fast
6 breeder, though. GA proposed, but did not
7 build to the AC that they fund R&D to develop
8 a gas-cooled fast breeder.

9 And you got funding for that, a
10 small amount of funding on an annual basis
11 from the Congress, but, ultimately, Milton
12 Shaw went with the liquid metal fast reactor,
13 and you were never funded to build the gas-
14 cooled fast reactor.

15 CHAIR PETERSON: Okay. Dick?

16 MEMBER MESERVE: Yes, I would like
17 to follow up a little bit on some of the
18 licensing issues. I think this is most
19 relevant to Mr. Mowry and Dr. Lorenzini
20 because of the fact that you're nearer-term.

21 You are, obviously, are smaller
22 and below ground. It changes the safety

1 profile, security profile somewhat. I'm
2 curious of the extent to which you are
3 dependent on having some licensing issues
4 resolved differently for your reactors than
5 for conventional reactors in order to make
6 this viable.

7 Arguably, I guess you might have
8 an Emergency Planning Zone that will be
9 smaller. If you have multiple modules, I
10 presume you're looking for staffing
11 limitations in control rooms that might not be
12 allowed in a large reactor.

13 I am sort of curious about whether
14 you have had enough engagement with the NRC to
15 be able to assess the licensing issues that
16 need to be resolved, and the extent to which
17 they are showstoppers or at least critical
18 impediments, if they don't get resolved the
19 right way.

20 MR. MOWRY: I guess a couple of
21 things. First of all, we have had significant
22 interaction with the NRC and the staff, and

1 actually, they have been quite open in
2 engaging us with this conversation for the
3 past two years. So I think we have a good
4 feeling for the landscape in which we need to
5 address these matters.

6 I would say that the answer
7 depends on the application for the SMR. There
8 was a previous set of comments around how many
9 modules you were going to build. So, if you
10 look at, let's say, the bookends for the
11 application of SMRs, on one end you have
12 single-unit sites or sites that are called
13 nuclear greenfield.

14 And one good example for that
15 would be the repowering of an old fossil site,
16 where you may have a 150-megawatt coal plant
17 that was built in 1950. You decide to retire
18 it, but you have the existing transmission
19 infrastructure, which, by the way, takes 10
20 years to site a new transmission line. You
21 have a substation. You have water rights.
22 But you don't have any existing nuclear

1 infrastructure there.

2 The matters such as security
3 requirements, an Emergency Planning Zone, we
4 believe need to be addressed to improve the
5 economics of the deployment of a reactor under
6 those conditions because, otherwise, they do
7 drive up the cost.

8 But at the other end of the
9 spectrum, where you are talking about, let's
10 say, building out additional units on an
11 existing nuclear site, and there are lots of
12 these sites around the country. For example,
13 First Energy has sites where they -- well,
14 actually, a lot of utilities have sites where
15 they have only built a single unit where the
16 site was originally designed for multiple
17 units.

18 Siting SMRs in that type of
19 environment really takes advantage of the
20 existing infrastructure in terms of security,
21 EPZ. In that type of scenario, you don't
22 really need changes in these types of

1 regulatory matters to make the SMR cost-
2 competitive.

3 Even if you alternately build out,
4 let's say in the case of B&W, you build eight
5 of these things, you have an incremental 1,000
6 megawatts. But the point is that you build
7 these one at a time, so you're not trying to
8 finance \$10 billion all at once. But at the
9 end of the day, it's inside the fence, it's
10 inside the existing EPZ zone.

11 And we would argue that in that
12 type of deployment scenario we're really not
13 looking for any substantive changes in the
14 regulatory environment that we have today.
15 The changes that we would look for are really
16 there to improve the economics and deployment
17 of nuclear power in places where it has not
18 currently been used and in repowering
19 scenarios and more initial applications, which
20 we believe is important.

21 DR. LORENZINI: So we met with the
22 NRC the first time in February of 2008. And

1 at that time, we went through 255 sections of
2 the Standard Review Plan, and we showed them
3 that, with the exception of about 10 or 15,
4 everything fit us. So we narrowed it down to
5 those.

6 Those areas involve, No. 1, a
7 control room where we have more than one
8 reactor being operated out of the same control
9 room. We don't see any showstoppers there.
10 That's an issue that got first raised by the
11 PBMR people. So the NRC conversations have
12 been very helpful there.

13 The smaller EPZ, issues of
14 security, and reducing security staff is, I
15 think B&W says trading people for concrete.
16 I think I kind of like that idea.

17 And also, we have issues about
18 building an infrastructure and then adding new
19 generation to that after you have existing
20 generation operating. There are those kinds
21 of questions, but we haven't had any sense
22 that any of those issues are showstoppers or

1 cause for great alarm. It's more a matter of,
2 what do we have to do to go through this?

3 On the control room, for example,
4 we intend to have a fully-operating simulator
5 in place when we turn in our design
6 certification application, just because we
7 know that is such a critical issue.

8 CHAIR PETERSON: Susan Eisenhower?

9 MEMBER EISENHOWER: Yes. Again,
10 thank you, all the panelists, for a very
11 enlightening set of presentations. I think
12 the small modular reactors are a very exciting
13 development here in the nuclear field. So
14 thank you for those presentations.

15 I did want to make -- I couldn't
16 resist -- I want to make one observation, and
17 then I have two questions. That is, simply,
18 that speaking of mature industries, the coal
19 industry is a mature industry, and it is going
20 to have to be subsidized fairly well to get
21 carbon capture and sequestration underway. I
22 mean we're either serious about climate change

1 or we're not.

2 By the way, I would like to say to
3 that point, having visited our country's only
4 full pilot project in this area at a coal
5 facility in West Virginia, the parasitic load,
6 electrical parasitic load, for capturing and
7 sequestering carbon is so significant that
8 maybe a small nuclear reactor might --

9 (Laughter.)

10 I'm serious about this. I think
11 the problem in the energy field is there's so
12 much siloing that nobody is really thinking
13 about how one energy source might really lock
14 in and help achieve another set of goals.

15 Now, having said that, one of the
16 things that has not come up in any of these
17 presentations is the question of -- this is my
18 first question -- of U.S. global leadership
19 and American competitiveness.

20 So could I ask people on the panel
21 who would like to respond to this, what are
22 you facing internationally around the

1 development of small modular reactors? This,
2 to me, would argue, of course, for the
3 government taking an intense interest in the
4 development of this. But maybe you could tell
5 us a little bit more about what you're facing
6 in the international arena.

7 DR. LORENZINI: I guess I would
8 say it is not what we're facing; it's what the
9 industry is facing because it's larger plants
10 that are out there competing. But what they
11 are facing is sovereign powers coming in and
12 negotiating nuclear contracts and making it
13 very difficult for American companies to
14 compete. You've had Korea do that. You've
15 had France do that.

16 And there is, I think, a need for
17 the American Government to decide, is it in
18 the national interest, to go back to my point
19 earlier, to facilitate a global market? And
20 one of the areas where I think that really is
21 important is in the issue of manufacturing
22 exports.

1 If we go to a country and we say
2 we're going to build new scale plants and they
3 tell us, "You can only build a new scale plant
4 here if you do the manufacturing here," we
5 aren't in a position to really argue with
6 that. If the American Government believes
7 there is an interest in having U.S.
8 manufacturing jobs/export products, they ought
9 to be there as a partner with us and say to
10 these countries, "This is a good deal for you.
11 We want to help make it happen, and in
12 partnership with us, create American jobs."
13 So I think that that's one of the areas where
14 it would be really important.

15 MR. MOWRY: Yes, I guess I would
16 like to add to that, just to put some
17 historical context to this. Back in 1957, the
18 Atomic Energy Commission partnered in a
19 public/private partnership with Duquesne Light
20 Company to build the first commercial nuclear
21 power plant in this country at Shippingport.
22 And that really launched this country's 50-

1 year leadership in the commercial nuclear
2 power industry.

3 So that is a great example of a
4 public/private partnership working and helping
5 this country establish industrial leadership
6 on a global basis. And what you see deployed
7 around the world right now is really the
8 outcome of America's leadership there.

9 And as Dr. Lorenzini mentioned, we
10 have kind of lost that leadership on the large
11 reactor side.

12 MEMBER EISENHOWER: Right.

13 MR. MOWRY: On the small reactor
14 side, we have a unique opportunity right now
15 in this country to maintain leadership in this
16 emerging evolution in the light water reactor
17 space. I would argue that there really are no
18 global competitors today outside of the United
19 States.

20 So it comes down to first in
21 market, and the ability to deploy this
22 internationally is also something that SMRs

1 are uniquely capable of, because you can
2 actually put an SMR reactor on a barge, on a
3 ship, and send it overseas. So you can
4 actually manufacture these things and send the
5 critical high-technology component to wherever
6 this thing is being installed.

7 Now that also speaks to security
8 and non-proliferation. If you control that
9 technology, you are really addressing this
10 thing in a very practical manner.

11 But we are at a unique crossroad
12 right now, and the question of how quickly
13 this country develops the technology and makes
14 it available on the international market is
15 something that, ultimately, we believe is
16 going to depend on the degree to which there
17 is a public/private partnership that is in
18 place.

19 And I can tell you, on the
20 international side of things, if you look at,
21 for example, the UAE, and a lot of other
22 countries that are considering adopting

1 nuclear technology, they have taken a country-
2 of-origin approach. So a technology that is
3 designed here and that is certified here
4 through the NRC will likely be acceptable in
5 new developing countries who are looking to
6 deploy this technology.

7 So, really, the question is, who's
8 going to get there first? Are we going to
9 repeat what we were successful at 50 years ago
10 or not?

11 MEMBER EISENHOWER: Right. Thank
12 you very much for that.

13 I actually had a question for you,
14 Tom, and you might, maybe two things here.
15 First of all, on your U.S. Government, focus
16 should be on, and you gave two points here.
17 You did not have anything about research and
18 development.

19 Now I know you don't like
20 subsidies, but research and development is a
21 slightly different thing. Would you say
22 something about that?

1 And secondly, improving safeguards
2 over nuclear fuel cycle activities, this is a
3 very interesting and provocative statement.
4 Would you give us some idea of what you think
5 is inadequate at the moment? Thank you.

6 DR. COCHRAN: Thank you. Well, I
7 did say there is a role for the federal
8 government in support of the new reactor R&D,
9 but I thought that role, I believe that role
10 should be limited to educating new nuclear
11 scientists, so they can do these designs and
12 doing basic research, basic materials
13 research, for example.

14 Now you mentioned the partnership
15 with Duquesne. That was then. Now we have,
16 I would characterize it as a mature industry.
17 NuStart, I haven't done this calculation in
18 several years, but when they were created,
19 their combined assets were something like \$200
20 or \$300 billion, not counting Electricite de
21 France or the French Government.

22 Their combined profits, or I

1 should say revenues, were in the neighborhood
2 of \$10 billion. They owned or operated 66
3 nuclear plants in the United States, almost
4 roughly 60 percent of the fleet. You now have
5 an industry that's perfectly capable of
6 standing on its own feet. They don't need to
7 come to the U.S. Government, for example, to
8 get cost-sharing for licensing. The licensing
9 will be a small part of their cost to develop
10 the NuStart reactor. They simply don't need
11 the federal money. They will be happy to take
12 it, I'm sure, but they don't need it, and we
13 shouldn't give it to them.

14 So that's my point. I'm all for
15 them developing their reactor. I just think
16 we don't need to engage there, and I think the
17 Department of Energy's Nuclear Energy R&D
18 Program, as it exists, is fine. I don't think
19 we're going to get a lot from this Commission
20 that will enhance what they are already doing
21 in the way of reframing their program and
22 focusing it on basic R&D.

1 Now on the safeguards issue, this
2 really doesn't go to the issues in this
3 particular panel, but it does go to the issues
4 in the previous panel. The simple fact is
5 that the existing international regime,
6 safeguard regime, does not provide the
7 fundamental safeguards requirement of timely
8 detection of a diversion.

9 MEMBER EISENHOWER: Just a second.
10 Just for clarity purposes, so when you say
11 improving safeguards over the nuclear fuel
12 cycle, you're talking about the international
13 fuel cycle activities?

14 DR. COCHRAN: Exactly.

15 MEMBER EISENHOWER: Okay. All
16 right. I thought you were talking about
17 domestic fuel cycle activities.

18 DR. COCHRAN: My colleague,
19 Christopher Payne, and I have a proposal for
20 improving safeguards internationally,
21 oversight internationally, beginning with
22 uranium enrichment.

1 MEMBER EISENHOWER: Right.

2 DR. COCHRAN: It could be
3 applicable to reprocessing other fuel cycle --

4 MEMBER EISENHOWER: Right. That's
5 sort of a different subject. I thought, since
6 you were talking about the U.S. Government
7 focus should be on, and we were talking about
8 domestic issues -- I don't mean to interrupt
9 you, but I just think on this other point,
10 John, did you --

11 DR. PARMENTOLA: Look, we invented
12 nuclear reactors. I think we have reached a
13 point where we need to reinvent nuclear
14 reactors.

15 And what I described is not just a
16 reactor. These gentlemen described a reactor.
17 What I described was more than a nuclear
18 reactor.

19 And if we are going to try to
20 address the major issues facing nuclear
21 energy, it has to be simultaneously addressing
22 issues associated with what to do about the

1 used nuclear fuel, the economics, the issue of
2 increasing proliferation resistance, energy
3 security, and a workforce.

4 I think that, based upon what I
5 described as a fast reactor, it provides a
6 unique opportunity for the United States to
7 lead the rest of the world in a reactor that
8 is more than a nuclear reactor. And I think
9 it has the features of modularity,
10 manufacturing.

11 And I'm not basing what I describe
12 purely on guesswork. There is data to support
13 what I claim. It is just that that data needs
14 to be furthered and we need to be able to dig
15 deeper into it, to make sure that the risks
16 are reduced sufficiently, that we can move
17 forward with the commercialization or at least
18 the first-of-a-kind reactor of its type.

19 DR. COCHRAN: You should ask him
20 whether he places a higher priority on that
21 reactor or the government funding of the NGNP.

22 DR. PARMENTOLA: Okay, I'll answer

1 that question. Okay? I'll answer the
2 question.

3 I didn't describe our overall
4 strategy here. Okay? NGNP is a high-
5 temperature gas reactor, but it's a thermal
6 reactor. It has several very important
7 features, in my view.

8 One is it is exceptionally safe.
9 It's inherently safe.

10 Second, economically, it's more
11 competitive than light water reactors because
12 of its high efficiency. It is a much more
13 highly efficient reactor than light water
14 reactors.

15 Third, it has siting flexibility,
16 all three of these.

17 Now that reactor can be built over
18 the short-term to establish high-temperature
19 gas reactor technology. EM-squared is the
20 next major advancement over and above that,
21 along a path toward establishing high-
22 temperature gas reactors, not just for the

1 United States, but for the world.

2 CHAIR PETERSON: Very good. That
3 is a logical explanation. Thank you.

4 I would like to turn next to
5 questions from Commissioner Sharp.

6 MEMBER SHARP: Thank you very
7 much.

8 I just wanted to double-check
9 with, in particular, the two modular not high-
10 temperature gas reactors on this question, in
11 terms of what their requirements will be in
12 terms of what happens to the used fuel for
13 storage, for transportation, and for ultimate
14 disposal. Is there anything qualitatively or
15 significantly different that would affect how
16 we judge those three systems that we would do
17 for other fuel?

18 MR. MOWRY: From a B&W
19 perspective, I think the answer is clearly at
20 this point a no, and it's for a very simple
21 reason. We are trying to design something
22 that the utility industry, that the nuclear

1 utility industry actually wants.

2 And if you look at the fact that
3 we actually have a consortium that's actually
4 putting their own money into helping further
5 this thing, we need to really look to them to
6 define their path forward in the used fuel, in
7 the waste issues. So, at this point, they are
8 not asking us to do anything substantially
9 different.

10 Provide flexibility for future
11 options? Absolutely. But to lead now would
12 basically divert attention from the goal,
13 which is to create a viable SMR that is
14 deployable before the end of the decade. And
15 if you do any of that stuff, you start
16 monkeying around with new fuel designs, you're
17 starting to push that deployment time from
18 2020 to 2030, and that is not what they are
19 looking for.

20 So it gets back to a complementary
21 approach that provides near-term benefits to
22 the industry in the areas where they have pain

1 today. And that's what a light water reactor-
2 based solution can do, while at the same time
3 supporting research to evolve promising
4 technologies that have a longer gestation
5 period.

6 So, for the part of the utility
7 industry that is focused on near-term
8 deployment requirements, the answer is clearly
9 no, but I would have to defer the answer to
10 some of the other gentlemen here who are
11 looking to other designs with other goals.

12 MEMBER SHARP: No, but I assume
13 your reactor, the EM-squared, is qualitatively
14 different as a reactor. So I didn't know what
15 does that do significantly in our thinking
16 about waste storage, transportation, and
17 disposal.

18 DR. PARMENTOLA: Well, I came here
19 to talk about an advanced technology that
20 could extract the energy out of what people
21 normally consider to be waste. We don't
22 consider it to be waste. We think it's a

1 waste to think of it as waste. Okay?

2 (Laughter.)

3 MEMBER SHARP: I understand.

4 DR. PARMENTOLA: Simply put,
5 right?

6 On the other hand, the NGNP can be
7 demonstrated first-of-a-kind within the next
8 10 years as a modular reactor. Okay, it is
9 not as small as these small modular reactors,
10 but it is a modular reactor. It takes
11 advantage of manufacturing and all those
12 things as well.

13 In fact, we are partnered with
14 Electric Boat that helps build the reactors in
15 submarines to take advantage of all the
16 modularity that they developed over the years
17 to realize NGNP.

18 But in order to be able to move
19 forward with EM-squared, there is risk that
20 needs to be reduced --

21 MEMBER SHARP: Sure.

22 DR. PARMENTOLA: -- in order to be

1 able to capture the interest of others to see
2 that, in fact, this technology can change the
3 game in nuclear energy. We can change the way
4 the world thinks about it.

5 MEMBER SHARP: I understand.

6 DR. PARMENTOLA: I use this
7 analogy: if I lose my keys on the street, it
8 seems that everybody always looks under the
9 lamppost on a dark street, always under the
10 lamppost. The answer lies someplace else, and
11 this is the someplace else.

12 But you're driven by national
13 policy issues to try and figure out how to
14 address them.

15 MEMBER SHARP: Yes, I understand
16 that, but what I'm trying to get at is the
17 question that, if we say something about the
18 character of current storage systems and their
19 validity, or how long they might last, are we
20 going to also need to be saying something
21 about, but be sure to take this into account
22 in order to allow for this?

1 When we talk about transportation
2 safety and what is needed there, do we need to
3 be saying anything that within the next 25
4 years you really need to be focused on some
5 other kind of set of concerns when we talk
6 about waste? You get what I'm saying?

7 That's all I'm asking, is trying
8 to get a sense of how different the
9 characterizations of what we might need are,
10 not that we're going to settle these
11 questions, but, hopefully, we will help others
12 not to make the wrong set of choices along the
13 path. That's all I'm trying to get at. Now
14 maybe I'm not doing a very good job of even
15 getting the point across here.

16 DR. COCHRAN: I just want to make
17 a small intervention about what our priorities
18 should be. There are other technologies that
19 can use uranium more efficiently. For
20 example, a uranium enrichment plant, we can
21 run them at extremely low tails assay
22 uneconomically and extract more energy per

1 pound of uranium you mined. It makes no
2 economic sense to do that today.

3 We could operate uranium mines and
4 take out every uneconomically trace mineral in
5 order to use the ore more efficiently. We
6 don't do it because it's uneconomic. You take
7 out the trace materials that are economical to
8 take out and that have a market value.

9 So the issue with this reactor is
10 really not the efficient use of the resource.
11 It's whether it's going to be economical. My
12 bet is, if he's got a fast reactor and he's
13 using sodium, forget it. We've been there.
14 We did that. They are not very attractive, at
15 least when you look at the history of the
16 program.

17 MEMBER SHARP: Well, I understand.
18 We're probably not going to select reactor
19 technology here. At least I'm sure you sure
20 don't want me doing it.

21 Can I ask one more question,
22 though, of Tom Cochran?

1 Among the things that you
2 suggested we ought to focus on is getting the
3 repository system back on track, and I
4 wondered if you have any practical advice for
5 us.

6 DR. COCHRAN: My advice that I
7 gave the last time that I testified to the
8 full Commission was understand the history
9 well of the program that we are cancelling and
10 understand the foreign programs, particularly
11 the Swedish and I guess the Finns, and go from
12 there.

13 There are lots of things that were
14 done wrong, some involving you, some involving
15 others on this panel.

16 (Laughter.)

17 MEMBER SHARP: I will confess. I
18 will confess and try to repent.

19 (Laughter.)

20 But let me suggest to you that one
21 of the practical difficulties we have on so
22 many of these things is we always know what we

1 don't like because it's what we have
2 experienced and known. So there's always
3 something over here.

4 And my impression is rarely do we
5 on institutional issues give significant
6 thought to what is the design of the new
7 institutional issues. It's almost always
8 driven by, I might say, all kinds of people in
9 academia and industry, and everywhere else,
10 who say, "Boy, we've been through this and we
11 know don't do that." But oftentimes, what was
12 done is actually related to inherent technical
13 and social and political things that are going
14 to repeat themselves; I don't care what you
15 think the history has been.

16 DR. COCHRAN: I'll tell you one
17 thing you should absolutely not do. You have
18 a Nuclear Waste Trust Fund. You should,
19 whatever you do, make sure that that Trust
20 Fund is only used for the repository
21 development.

22 The game plan of some people is to

1 take the institution responsible for
2 developing the repository out of the
3 government, set up a non-government
4 institution or a quasi-government institution,
5 and give it authority over not only the
6 repository, but all the back-end of the fuel
7 cycle.

8 So now the institution is
9 responsible for, if it wants, reprocessing,
10 transportation, whatever. And then you give
11 it this huge pile of money. That's the only
12 way some industry people see as the option for
13 funding technologies that are not cost-
14 effective.

15 So, if you want to build a \$25
16 billion recycle facility, then move the
17 program out of the government, take over the
18 Waste Fund, and stack the Committee or stack
19 the new Board of Directors so that they will
20 fund your new \$25 billion program.

21 So, to me, that is the biggest
22 risk I see in the Blue Ribbon Commission, is

1 that it will make a mistake and allow the
2 Congress to do that.

3 MEMBER SHARP: Well, my only
4 challenge to that, Tom, I think was raised the
5 last period on the other Subcommittee, is this
6 takes serious thinking through of what are the
7 functions you want to be performed, what is
8 the financing, what is the oversight. And the
9 governance issues are central in anything like
10 this.

11 And just this notion that we will
12 create a new Federal Reserve which will
13 somehow magically always make the right
14 decisions, I don't buy, anymore than I buy the
15 fact that we have done a good job of how we
16 have managed it all the way through before.

17 CHAIR PETERSON: Okay. I'm going
18 to note that, while we are running into the
19 lunch hour, we did have a late start. So we
20 are going to take just a few more minutes, and
21 we are going to cut them out of everybody's
22 lunch. But I know that people want to still

1 have time.

2 So I will ask Al for a quick
3 question, and then I will have one final
4 question, and then we will wrap things up.
5 Okay?

6 MEMBER CARNESALE: Thank you.

7 Two parts. The first is, as I
8 hear the discussion, the argument with Tom as
9 to whether the industry is mature or not is
10 that others use words like revive,
11 resuscitate, and dead, literally.

12 (Laughter.)

13 Literally. No, I mean this
14 seriously.

15 So my question that arises from
16 that, is it that you believe, independent of
17 the waste question, which is a big part of the
18 problem we have, but not the sole problem,
19 especially of this Subcommittee, that nuclear
20 power, as we know it, large-scale LWRs, do you
21 believe that it is dead or close to dead? I
22 am not talking about the operating plants. I

1 am talking about new plants in the United
2 States.

3 Or do you think, just as you were
4 talking about, I've got a better idea?

5 DR. LORENZINI: If you are asking
6 me that question, I used the word dead. If
7 you go back to 1985 and you look at the
8 infrastructure N-stamp suppliers, and you
9 compare it to 2005, when the Energy Policy Act
10 was passed, they all went away. If you look
11 at where the forgings were being done, they
12 were being done in Japan because the U.S.
13 operations went away.

14 So saying that something is dead
15 in the sense of having an industry
16 infrastructure that exists, that you can go
17 out and build a plant, that you've got
18 qualified suppliers, you've got qualified
19 vendors, the industry is there, you just build
20 another plant, that went away. So it has to
21 be reformed.

22 When we go to customers, you know,

1 it's going to be the first plant. Who's going
2 to pay the extra cost associated with being
3 the first plant up? We're talking about a
4 government program to provide subsidies on the
5 cost of the nth plant. Like, I mean, wind is
6 out there, and they're getting subsidies on
7 their operating windmills for years. We
8 aren't asking for that. It is just get a
9 first plant up and running and overcome some
10 of those first costs associated with doing
11 that.

12 MEMBER CARNESALE: And it could be
13 sort of a traditional LWR gigawatt --

14 DR. LORENZINI: Well, I don't see
15 us as traditional. I think we bring something
16 different to the market.

17 MEMBER CARNESALE: No, no, I know.
18 No, I'm trying to --

19 DR. LORENZINI: So I'm looking at
20 it from when I talk about ourselves.

21 MEMBER CARNESALE: My question,
22 you understand I'm not trying to be cute.

1 DR. LORENZINI: No, no.

2 MEMBER CARNESALE: I'm trying to
3 figure out, is this something, looking at
4 these alternative designs, is this something
5 that you see as essential or something that
6 you see as attractive?

7 DR. LORENZINI: That's a different
8 question.

9 MEMBER CARNESALE: Those are not
10 identical.

11 DR. LORENZINI: That's a
12 different --

13 MEMBER CARNESALE: Oh, no, that's
14 what I said. Do you think it's essential or
15 do you believe it's otherwise? Now maybe you
16 don't like the question.

17 DR. LORENZINI: Well, no, I love
18 the question.

19 (Laughter.)

20 I would say that's a different
21 issue of whether the industry is dead, is
22 whether or not --

1 MEMBER CARNESALE: Well, the
2 industry is dead because there hasn't been an
3 order.

4 DR. LORENZINI: Yes.

5 MEMBER CARNESALE: I want us to
6 keep an infrastructure --

7 DR. LORENZINI: I would go back to
8 my earlier comment and say, if you're looking
9 at carbon and you're looking for baseload
10 generation, the only non-carbon source of
11 baseload generation that's significant and
12 readily available is nuclear. And if there's
13 a barrier to nuclear because of the high
14 financing, there's an option out there that
15 says you can introduce nuclear plants into the
16 marketplace and you don't have to face that
17 high financial barrier; plus, you can reach
18 markets that aren't being reached right now,
19 yes, I would say it's essential.

20 MR. MOWRY: Yes, and I would like
21 to reinforce that comment. I mean, if you
22 look at the parts of the industry that are

1 considering building new large gigawatt class
2 reactors, they are really only the very
3 largest institutions we have out there and,
4 frankly, institutions that already have
5 nuclear power plants.

6 If nuclear power is going to be
7 part of a portfolio of solutions that
8 addresses the climate challenge, you have to
9 broaden the base of industry that nuclear
10 power can access. So I don't think it's the
11 right way to look at it as one or the other.

12 There's always going to be
13 applications for large reactors. The large
14 utilities will be able to, one way or another,
15 afford large reactors. But you're talking
16 about the smaller guys. How do you get a
17 nuclear reactor into a utility that's only got
18 a couple of thousand megawatts of generation?
19 They will never be able to afford a big
20 reactor.

21 And if you look at the number of
22 high-carbon-emitting power generation sources

1 that need to be replaced over any reasonable
2 amount of time to address climate issues and
3 energy security issues, you need to find a way
4 to be able to deploy nuclear power into those
5 areas as well.

6 So I think that it is a
7 complementary approach rather than one or the
8 other.

9 MEMBER CARNESALE: Thanks.

10 DR. PARMENTOLA: I would say
11 essential, and in the case of a high-
12 temperature gas reactor, there's a whole new
13 set of customers for the energy output from
14 that reactor. Because it's a high-temperature
15 gas reactor, it can be used in process heat
16 application.

17 And industry, the chemical
18 industry, the refining industry uses process
19 heat, but they basically generate it through
20 gas. And then the question becomes, well, do
21 you want to deal with the price fluctuations
22 of gas and do you also want to deal with the

1 CO2 emissions from gas? Where you can get
2 away with it with a high-temperature gas
3 reactor, but it provides a new customer base.

4 What's more, EM-squared needs
5 light water reactors because they produce the
6 fuel that we use. So we are complementary to
7 them in that sense. Okay?

8 DR. COCHRAN: I was just going to
9 say in some areas of the country, particularly
10 the Southeast, I think you will see a few new
11 nuclear plants justified on the basis of other
12 than their low cost. But, even there, they
13 are dependent either on federal subsidies or
14 getting the costs in the right base before
15 they start producing electricity, which is
16 reasonable from some perspective. It has some
17 advantages to the customer. It has some
18 disadvantages as well.

19 But I would also point out in
20 terms of whether industry is alive or dead, it
21 is now a global industry, and you are building
22 40-50 plants around the world. So industry is

1 alive. It's just less in the United States,
2 other than what's left of Westinghouse and
3 General Electric, who have partnered with the
4 Japanese.

5 MEMBER CARNESALE: Thank you.

6 The other thing I wanted, if I
7 could, was just I was following up on
8 Allison's question before about, how come the
9 French and the British and the Japanese, we
10 don't hear more about them with modular
11 reactors, since they've had a lively industry
12 for the last 20? They have had orders.

13 CHAIR PETERSON: Al, can I
14 rephrase that question? Because that is
15 actually exactly what I was going to ask.

16 MEMBER CARNESALE: As long as it
17 is the same question.

18 (Laughter.)

19 CHAIR PETERSON: Yes, I promise
20 that it is.

21 DR. PARMENTOLA: The Koreans have
22 a program in small modular light water

1 reactors.

2 CHAIR PETERSON: Yes, as do the
3 Japanese.

4 One way of looking at that,
5 there's another dimension to that, which is
6 that a part of what enables the new small
7 modular light water reactors is the use of
8 passive safety systems because that eliminates
9 the need for a lot of redundant, extra
10 equipment that would be prohibitively
11 expensive if you were to try to, I think,
12 bring down to this scale multiple redundant
13 safety trains.

14 And to amplify on that question,
15 in the United States the regulatory system
16 developed code scale inapplicability on
17 certainty analysis methodology, very novel
18 approach to integral-effects testing,
19 facilities built at Oregon State University,
20 and now B&W is moving forward to build these
21 same types of experimental facilities.

22 So I guess I would ask, is there

1 any other regulatory authority in the world
2 that could actually for the first time license
3 these types of reactors, given that it's
4 really U.S. NRC that has developed the
5 capacity to do that?

6 DR. LORENZINI: I guess our view
7 is that there are others that could because
8 there are others that license light water
9 reactors, and we don't believe there's
10 anything strange about licensing our plant as
11 compared with other light water reactors. The
12 issue for us is, is that where we want to
13 invest our resources?

14 And to go to the point that I
15 think Chris made earlier, as we look at the
16 global market, other countries want a
17 technology that has been deployed in the host
18 country first. And if we go to them and we
19 say, "Buy our plant, but we've never built one
20 in the United States," they don't want to be
21 the world's guinea pig.

22 So they like the idea that we have

1 developed our plant in our host country and we
2 are deploying it there. Once we do that, I
3 think that there is a huge, huge global
4 market.

5 On the issue of the global market,
6 the other thing I would say is, if we went
7 back to five or six years ago, there was like
8 90-some small reactor designs out there.
9 There's small reactor designs, water, non-
10 water, all kinds of small reactor designs.

11 The world of small reactor designs
12 was focused on small grids, developing
13 countries, remote locations. And what has
14 changed in the last two years is the
15 realization that there's a price point that
16 the small reactors can reach that makes them
17 competitive on a dollar-per-kilowatt basis
18 with bigger plants, and there are ways to
19 deploy them so that they can meet the needs of
20 larger utilities as well. That is what has
21 changed the conversation in the last two
22 years.

1 CHAIR PETERSON: Okay, and I will
2 have to apologize to Al because I may have
3 taken your question a little bit astray,
4 actually.

5 But, Chris, do you have, also --

6 MR. MOWRY: Well, yes, I just
7 wanted to echo that. I think the key point
8 here is that we see signs on a global basis
9 that the world is taking a stronger look at
10 SMRs.

11 This gets back to the commentary
12 we had earlier, that there's a window here of
13 leadership, and somebody is going to emerge as
14 the leader in this industry, but it will
15 happen. So, in terms of the waste issue, of
16 course, that implies, again, that light water
17 reactor-based fuel and used fuel will be
18 around for a long, long time, irrespective of
19 how quickly we can develop fourth-generation
20 technologies.

21 So, whatever solution we come up
22 with, both in terms of the domestic solution

1 and to the degree that we care about non-
2 proliferation security, it needs to take all
3 of this into account.

4 So whose reactor is going to be
5 built in Jordan? Is it going to be our
6 reactor? Is it going to be the French
7 reactor? The Korean reactor?

8 When they build an SMR there,
9 whose technology is it going to be? Who is
10 going to control that technology? Are we
11 going to have an opportunity to have a hand on
12 the wheel, or are we going to cede that
13 control to some other entity? That's a very
14 important question here that's wrapped up, I
15 believe, in everything all of you are
16 considering.

17 CHAIR PETERSON: And just to
18 finish up on that question, the export issues,
19 I'm sure that Jack Fuller would also be able
20 to say a few words about whether there is a
21 level playing field for the U.S. in the export
22 market relative to other countries. I do

1 think that is an important issue. So, at
2 least just to get it into the record, maybe if
3 we could get that covered quickly, and then we
4 will break for lunch.

5 MR. MOWRY: Just the one data
6 point I would have is that we expect over the
7 next 20 years that 90 percent-plus of net new
8 baseload generation will be outside of North
9 America. So, if we want to have a vibrant
10 industry and an economy that is built off of
11 exports as well as things we do internally, we
12 have got to be able to focus on that market.

13 CHAIR PETERSON: Geoff?

14 DR. ROTHWELL: This gets back to
15 what you were saying about France. And here
16 we are in a country where we rely on the
17 markets. The French, as far as I can tell,
18 that isn't really a part of their raison
19 d'etre.

20 (Laughter.)

21 They have got a completely
22 integrated industry, and we are competing with

1 those completely integrated industries. The
2 Russians have a completely integrated
3 industry. They have no clue what their costs
4 are. It's whatever they can get in the
5 marketplace. Okay?

6 The Canadians have had an
7 integrated industry. The British have had an
8 integrated industry. We have not.

9 So, when we are talking about
10 subsidies, there are so many ways you can
11 subsidize an integrated industry that you
12 don't even see because the cost of capital is
13 integrated into that industry.

14 So we are competing with some very
15 powerful players out there. And if we want to
16 be in that competition, we have to sort of get
17 together.

18 CHAIR PETERSON: Thank you. I
19 think that that is a great way to end up this
20 second panel session.

21 I apologize to everybody that we
22 have been running a little bit late. But we

1 want to make sure that we have sufficient
2 time, also, to cover the afternoon topic.

3 So I would like to thank our
4 panelists for this session, and then to note
5 that we will reconvene at 1:30, the normal
6 time.

7 I apologize that we are
8 compressing the lunch period for everybody,
9 but it is best that we provide enough time to
10 make sure that we cover all of the issues that
11 we want to here.

12 So we will reconvene at 1:30.

13 (Whereupon, the above-entitled
14 matter went off the record at 12:47 p.m. and
15 resumed at 1:30 p.m.)

16

17

18

19

20

21

22

A-F-T-E-R-N-O-O-N S-E-S-S-I-O-N

1:30 p.m.

MR. FRAZIER: Senator Domenici?

CHAIR DOMENICI: We have Panel No. 3 now, and we're going to proceed.

Our third and last panel for today is entitled "Enabling and Incentivizing Commercial First-Movers". For this panel, the Commission asked the panelists to consider the following questions:

One, "What federal actions, and those are considered to be tax incentives, regulations, et cetera, that could address first-mover barriers and facilitate the development and commercial deployment of new commercially-competitive nuclear energy technology options?"

And two, "Are there ways to rethink price signals for nuclear generation and/or waste that could make nuclear power more competitive to build?"

So, as the previous two panels,

1 speakers are reminded that they are to keep
2 their presentations to 10 minutes or less, and
3 that the remainder of the time we have will be
4 spent on questions, like we did this morning.
5 And hopefully, they will be as provocative and
6 beneficial as they were.

7 Let me introduce our first
8 panelist, Ms. Rebecca Smith-Kevern, Director
9 of DOE's Light Water Technology Program.

10 Our second panelist will be --
11 well, let's take the first one and proceed.
12 Go ahead and start, ma'am.

13 MS. SMITH-KEVERN: Thank you,
14 Senator.

15 I am here to talk today about the
16 specific incentives of the Nuclear Power 2010
17 Program and the Energy Policy Act of 2005
18 incentives for nuclear power.

19 The reason why the government is
20 involved with nuclear power is that it is a
21 matter of public policy. It supports the
22 Administration's climate change and energy

1 security goals.

2 The 104 operating nuclear plants
3 provide clean, reliable baseload power. They
4 are generating about 20 percent of our
5 electricity mix today and providing about 70
6 percent of the emission-free electricity
7 generated in this country.

8 On an annual basis, that avoids
9 about 700 million metric tons of carbon
10 dioxide. It also helps to reduce the overall
11 emissions of nitrogen and sulfur.

12 To keep this fraction of nuclear
13 power is not going to be easy, as electricity
14 demand is projected to increase by 28 percent
15 by the year 2035. As electricity demand
16 increases, so will the annual emissions of
17 carbon dioxide. Keeping the 104 plants
18 running as long as safely possible at a high
19 efficiency and as high an output as possible,
20 as well as building new nuclear power plants,
21 is needed.

22 So, if we have this case for

1 nuclear, why is the industry hesitating? I
2 think you can see from this graph that is a
3 matter of economics. Even one nuclear unit
4 represents a significant fraction of the
5 market capitalization of even the largest
6 electric utilities. As you can see, the cost
7 of one unit exceeds the market capitalization
8 of some of the current active players, such as
9 Constellation and SCANA.

10 Other reasons for the electric
11 utilities' hesitation are the uncertainties
12 inherent in the process. These uncertainties
13 are interrelated, but the first is the
14 regulatory uncertainties.

15 Power companies lack the
16 confidence that the new, untested, one-step
17 regulatory process, which I'm going to talk
18 about on the next slide, is going to work as
19 predicted.

20 Second is the technical
21 uncertainty. They are considering new types
22 of designs that have not yet been built

1 anywhere in the world, and the concern is that
2 the first-of-a-kind engineering will take
3 longer and cost more, which leads to the
4 financial uncertainty.

5 Part 52 is the new licensing
6 process that the Nuclear Regulatory Commission
7 developed and rolled out in 1989. As opposed
8 to the old process under which the current 104
9 plants were licensed, that old process was a
10 two-step process, and that involved a
11 construction permit that the utilities got.
12 Then, they began to build their plants. And
13 once the plants were completed, they went back
14 to the Nuclear Regulatory Commission for an
15 operating license.

16 This meant that they had outlaid
17 their capital before they had a guarantee that
18 they were going to be able to operate and
19 realize a return on that investment.

20 So the Nuclear Regulatory
21 Commission revamped its regulations and
22 established a one-step, combined construction

1 and operating license, which is intended to
2 complete the licensing requirements prior to
3 the beginning of construction.

4 The other important difference in
5 Part 52 is that it was envisioned as a modular
6 process. The Nuclear Regulatory Commission
7 allows for the certification of a reactor
8 design. The reactor vendors can develop and
9 get a design certified that is irrespective of
10 a utility that wants to build it or a site
11 upon which they intend to build. So the idea
12 was that these designs would be available and
13 ready to go off the shelf.

14 They also established in Part 52
15 the early site permit process. In this
16 process, a utility could bank a site for up to
17 20 years, and in doing so, they would address
18 the site safety, environmental impacts, and
19 emergency planning aspects, and they could do
20 so, if they so chose, generically by using a
21 plant parameter envelope which would bound the
22 conditions for many types of plants that they

1 might want to build there.

2 The most important thing is that
3 issues resolved in design certification and
4 ESP processes were not reconsidered in the COL
5 process.

6 That leads --

7 CHAIR DOMENICI: Would you state
8 that again, please?

9 MS. SMITH-KEVERN: Certainly.
10 Issues that were resolved in the design
11 certification rulemaking and in the early site
12 permit process are not to be reconsidered
13 during the construction and operating license
14 phase.

15 This leads to the programs that
16 the government developed to address the
17 uncertainties that I mentioned. Nuclear Power
18 2010, which has two major pieces, the early
19 site permit project and the new plant
20 licensing demonstration project, addressed
21 regulatory and technical uncertainties. The
22 Energy Policy Act of 2005 contained three

1 important incentives for nuclear: loan
2 guarantees, standby support, and production
3 tax credit. And these were designed to
4 address financial uncertainties during
5 different phases of a nuclear project.

6 Nuclear Power 2010 was initiated
7 in February of 2002, and it is an important
8 context to recall that, back then, no electric
9 utility in the United States would talk
10 publicly about considering a nuclear project.

11 Nuclear Power 2010 was based on
12 the near-term deployment road map, which
13 talked about things that the government could
14 do to incentivize nuclear power.
15 Specifically, it talked about a
16 government/industry cooperative effort which
17 would be 50/50 cost share. These projects
18 were competitively-awarded and they encouraged
19 the development of consortia of electric
20 utilities, which turned out to be important in
21 encouraging standardization.

22 These projects were also utility-

1 driven, in that the utilities proposed the
2 technologies that they were interested in
3 investigating and not the government.

4 The primary purpose of the Nuclear
5 Power 2010 Program was to reduce the cost of
6 the first plants so that we could get to the
7 next plants.

8 Getting into more detail about the
9 scope of the Nuclear Power 2010 Program, the
10 first part of the early site permit project
11 was the exploration of sites for new nuclear
12 plants. We did several scoping studies that
13 looked at sites around the country that might
14 be suitable for nuclear plants.

15 Then we got into specifics of
16 demonstrating the early site permit with three
17 projects, one at Exelon's Clinton Plant, one
18 at Entergy's Grand Gulf, and for Dominion's
19 North Anna Station.

20 The two combined construction and
21 operating license projects were part of the
22 new plant licensing demonstration project, and

1 they developed reference applications for the
2 ESBWR through the Dominion utility and for the
3 AP1000 through the NuStart Consortium.

4 The new plant licensing
5 demonstration project also developed new light
6 water reactor designs. We cost-shared the
7 design certification for the Economic
8 Simplified Boiling Water Reactor, the ESBWR,
9 developed by General Electric, Hitachi, and
10 the AP1000, which is under development by
11 Westinghouse.

12 In addition to the design
13 certification, we are also cost-sharing first-
14 of-a-kind engineering, which is the
15 engineering required to actually build a
16 plant.

17 Therefore, we are achieving our
18 goals of paving the way for industry decisions
19 to build new advanced light water reactors by
20 reducing the technical and regulatory
21 uncertainties.

22 I take it I need to move along.

1 You can see the early site
2 permits. I think it is most important to
3 mention here that 17 companies have submitted
4 applications for 26 new reactors, and that
5 there are five designs currently being
6 certified.

7 Very quickly, to the Energy Policy
8 Act of 2005, there were three incentives: the
9 loan guarantees, which support nuclear
10 projects during the planning phase; standby
11 support delay risk insurance, which supports
12 projects during construction, and production
13 tax credits that support nuclear projects
14 during operation.

15 I think most importantly, the loan
16 guarantees reduce the overall project cost by
17 reducing the cost of borrowing. The current
18 authority for Nuclear Power 2010 is \$18.5
19 billion, and we have made a request for an
20 additional \$36 billion, to bring the total up
21 to \$54.5 billion for advanced reactor
22 projects. There was also \$2 billion in

1 authority for fuel cycle.

2 Moving towards construction, we
3 have orders for long-lead equipment. There
4 have been engineering procurement and
5 construction contracts signed. And I think
6 most importantly, site preparation work has
7 begun at the Vogtle plant, the Summer plant,
8 Calvert Cliffs, and the South Texas projects.
9 In addition, the Tennessee Valley Authority
10 has resumed construction at Watts Bar Unit 2.

11 And, in sum, nuclear power is a
12 key element of U.S. energy strategy. Despite
13 the fact that we have removed substantial
14 barriers, decisions to move forward still
15 reside with each individual utility and its
16 unique set of decision criteria.

17 CHAIR DOMENICI: Thank you very
18 much.

19 We will proceed with the next
20 witness, Mr. Mike -- are you going to help me
21 with your name? Cazaubon?

22 MR. CAZAUBON: Cazaubon, yes.

1 Thank you, Senator.

2 CHAIR DOMENICI: Cazaubon. And
3 he's the Manager for NuStart Energy.

4 MR. CAZAUBON: Thank you.

5 CHAIR DOMENICI: Please proceed.

6 MR. CAZAUBON: I am with Excelon
7 Generation and am serving as Project Manager
8 for NuStart.

9 First, who and what is NuStart?
10 And with all due respect to Tom Cochran at
11 NRDC, I would like to point out that NuStart
12 is a special purpose entity. It does not own
13 any assets. It is not building any plants.
14 It has a very limited shelf life. It is only
15 going to be around until about the middle of
16 2012. And having just gone through the budget
17 process for 2011, I can guarantee you that we
18 have to fight for every dollar from the
19 members we can possibly get.

20 So, that said, I would like to say
21 that NuStart Energy does have 10 member-
22 owners. They are listed on the slide here.

1 I won't repeat them.

2 And the NuStart Consortium is
3 comprised of NuStart Energy Development, LLC,
4 the special entity, plus Westinghouse and GE
5 Hitachi Nuclear.

6 Just a little more background
7 about NuStart. It was formed in April of
8 2004. Its vision is to make nuclear energy
9 part of the country's future energy solutions.
10 Our mission at NuStart is to demonstrate that
11 a combined construction and operating license
12 can be successfully and economically achieved
13 using the NRC's Part 52 process.

14 We are also charged with assisting
15 in design finalization of the Westinghouse
16 AP1000 and GE Hitachi ESBWR advanced passive
17 light water technologies.

18 And from our perspective, we
19 really try to emphasize standardization,
20 safety, and good operability. So the vendors
21 are doing the bulk of the heavy lifting, but
22 we go in and help out where we can with

1 practical suggestions from our operating
2 experience.

3 So we definitely believe in a
4 win/win solution through our teamwork approach
5 to things, both with the vendors and with our
6 partners at DOE and among the 10 member-owners
7 of NuStart. I think that has been important
8 in having a unified purpose and allowing us to
9 move forward effectively over the past several
10 years.

11 We were selected by the DOE for a
12 cooperative award under the NP2010 program in
13 2005. And the work that we did at NuStart
14 helped to support submittal of 18 COL
15 applications for new projects, and that was
16 from 9 of the 10 NuStart members.

17 As Rebecca mentioned, the COL at
18 Southern Vogtle is one of the lead projects.
19 It is the lead U.S. AP1000 project, with an
20 anticipated COL issuance date of 2011, late
21 2011, if the reviews go as well as we hope.

22 I think most everyone has thought

1 about these before, but these are the
2 challenges or at least a partial list of the
3 challenges utilities face as a nuclear first-
4 mover.

5 Surprise, we're a very risk-averse
6 group. I have worked in other industries, and
7 it was interesting how risk-averse utilities
8 can be. It comes from the nature of being the
9 rate-base history for a lot of us. Those of
10 us who moved into the competitive marketplace
11 have to retool our thinking a little bit more
12 to try to be a little more nimble in that
13 regard.

14 There are a lot of policies,
15 uncertainties on carbon, renewables, tax
16 credits, et cetera. It all affects the kind
17 of economic considerations that we make. The
18 regulatory uncertainties, licensing, legal
19 challenges, cost recovery, are also a primary
20 concern.

21 We have talked a little bit about
22 technology. The construction cost, also, as

1 previous speakers have mentioned, the absolute
2 size and the uncertainty of the investment
3 give a great deal of pause to potential first-
4 movers.

5 And I have talked about
6 competitive markets a little bit. If you
7 overlay on top of everything else the
8 uncertainty and alternate forms of energy
9 pricing and how much demand there is in the
10 macro-economic environment, it adds another
11 layer of uncertainty that we have to deal
12 with. Of course, there is the spent fuel
13 management and fuel cycle considerations that
14 we have to deal with as well.

15 NuStart tends to focus on two
16 broad areas, the regulatory uncertainties and
17 the technology uncertainties. That is where
18 we have been putting our effort for the past
19 several years.

20 As Rebecca mentioned, the DOE is
21 administering the NP2010 program, designed to
22 reduce the uncertainty in our decisionmaking

1 processes within the utilities, which we are
2 greatly appreciative of. It is 50/50 cost-
3 share, but it has actually stimulated a lot
4 more investment from utilities than 50/50, and
5 I will talk about that more in a second.
6 Fiscal year 2010 is our final year of funding
7 under NP2010.

8 Okay. So NP2010 and NuStart, this
9 is an example of what the federal support can
10 do. In our estimation, because of NP2010, it
11 really spurred the industry to move, and moved
12 us at least two years ahead of where we would
13 have been if NP2010 hadn't been put into
14 effect.

15 So it has also provided us a
16 vehicle to group and pool our interest and our
17 expertise, and it reduced the ante or the cost
18 of each person or each utility coming in. So
19 it was an important way to convince senior
20 management, who are very frugal with our
21 dollar, to say, okay, put a few million
22 dollars into NuStart; let's see what we can do

1 together to move the ball forward.

2 So NuStart became a vehicle for
3 licensing and the design standardization. The
4 intent was to reduce both the industry cost,
5 but, also, the NRC cost. We have tried to
6 approach a one-issue, one-review, one-position
7 philosophy on everything we did.

8 So standardization can reduce cost
9 in the regulatory arena. It can reduce in
10 design. It can reduce in construction,
11 manufacturing. It is just the right thing to
12 do.

13 So, instead of individual projects
14 like we have had in the history of the
15 industry in the past, we wanted to standardize
16 as much as we possibly can.

17 NuStart has also served as a model
18 for the design review, a standard review that
19 other technologies have adopted at the
20 encouragement of the NRC.

21 And as Rebecca mentioned, the
22 Energy Policy Act of 2005 was an important

1 inventive for the industry. And NuStart's
2 preparation for NP2010 helped us be prepared
3 to take advantage of applications for loan
4 guarantees, production tax credits, and the
5 regulatory risk protection afforded by the
6 Act.

7 So, in summary, uncertainty and
8 risk, you have to reduce that for the first-
9 movers to act. In regulated markets such as
10 what Southern has down at the Vogtle project,
11 they have some ability to mitigate that risk
12 because of their ratepayer base. But those of
13 us in competitive markets have to look to
14 reduce the other risk as much as we possibly
15 can.

16 The industry partnerships I think
17 have been crucial in achieving the effective
18 and efficient deployment at least of the
19 preparations for the next wave of new
20 reactors.

21 The coordinated effort with
22 government has helped to accelerate that. So

1 it is has been a selective acceleration by at
2 least two years in what could have been
3 otherwise.

4 And as you know, the regulatory
5 process is a big, big concern to the first-
6 movers. So a demonstrating of Part 52 success
7 is vital to reducing that risk.

8 But, ultimately, the investments
9 will have to pass economic muster. So we
10 reduce the risk where we can, but it still has
11 to make sense for the for-profit utilities.

12 Thank you.

13 CHAIR DOMENICI: Thank you very
14 much.

15 Our next panelist is Dr. John
16 Kelly, who heads up the American Nuclear
17 Society. They have a Special Committee on
18 Small Modular Reactors, and he heads that up.

19 Dr. Kelly?

20 DR. KELLY: Yes, thank you,
21 Senator.

22 Today I am speaking on behalf of

1 the American Nuclear Society's Special
2 Committee on Generic Licensing Issues for
3 SMRs. I'm co-chairing that Special Committee,
4 and we started our work in January of this
5 year. And I'm giving a report on where we are
6 at with this effort.

7 I think we have heard earlier
8 today about the potential benefits of SMRs,
9 changing not only social paradigms, but also
10 energy supply paradigms, with job creation, a
11 basis for export of reactors, supports
12 national security and energy security, and has
13 climate change benefits.

14 And certainly the ANS President
15 Tom Sanders has been a very vocal advocate of
16 SMRs. So it was under his initiative that
17 this Committee was formed.

18 Now the dialog with the regulator,
19 the NRC, has been ongoing for the last 10
20 years with a number of the designers, project
21 developers, et cetera, on a licensing approach
22 for SMRs. And then, about a year ago, here in

1 Washington, the NRC had a workshop where they
2 brought together all interested parties to
3 start the dialog on getting serious about
4 addressing the regulatory issues.

5 And what they encouraged was that
6 the industry get together and come with a
7 common consensus approach at least on the
8 generic issues, so that these could be dealt
9 with once and have applicability to all the
10 vendors.

11 So, after that workshop, President
12 Tom Sanders called myself and some others to
13 form this Committee. What we strived to have
14 was cross-cutting participation from ANS
15 members with every SMR perspective. This
16 meant government, regulators, industry,
17 academia, National Labs, et cetera. So it is
18 really a broad-based Committee of ANS members.
19 And we wanted to be collaborative with other
20 efforts, such as those going with NEI, IEA,
21 EPRI, and the DOE program.

22 So there's about two dozen issues

1 that have been identified as generic or
2 technology-neutral issues. I am not going to
3 read through all of these.

4 But, basically, the game plan for
5 the Committee was to write White Papers that
6 address what the issues were associated with
7 each of these issues and then propose
8 solutions of how they could be addressed in
9 the regulatory process.

10 So it was very issue-focused. We
11 are technology-neutral. So we kept an open
12 mind about all technologies, gas, water,
13 liquid metal.

14 And we basically took that list of
15 two dozen issues and put those into three
16 subgroups, one on licensing framework, one on
17 licensing application, which really has to do
18 with the content of a license application, and
19 then the licensing associated with the design
20 and manufacturing of an SMR.

21 There is tremendous interest from
22 the ANS community in this activity. We have

1 nearly 3 dozen companies, organizations, that
2 have participated in this effort, really
3 representing a very broad cross-section of the
4 nuclear science and engineering community.

5 Now we just concluded an interim
6 report. It is in final editing right now.
7 And, Dr. Peterson, I will provide that to you
8 and the Committee as soon as that gets through
9 the editor. But that is the stage that it is
10 right now.

11 Of those 24 issues, we addressed
12 eight of them in the spring timeframe. We are
13 now planning to address an additional six, but
14 that will probably be done late in the year.
15 So it is not clear that the timing will be
16 consistent with the timing of this Committee,
17 but we'll see.

18 So they are listed here in terms
19 of the issues that we addressed. Then I am
20 going to talk a little bit about these in a
21 little bit more detail in just a couple of
22 slides here. Okay.

1 So conclusion from the papers that
2 we developed is that the current regulatory
3 system is geared toward large light water
4 reactors. This, in itself, isn't a bad thing,
5 but it does introduce the need that for SMRs
6 there's probably a number of the regulations
7 that would have to be, exemptions would have
8 to be sought by an applicant.

9 And in our view, this was not a
10 desirable long-term solution. So, for first-
11 movers, you know, having a license application
12 that seeks exemptions is probably workable,
13 but it is probably not a long-term solution
14 where we are talking about potentially
15 thousands of small modular reactors, that we
16 need a longer-term solution.

17 The Committee is recommending that
18 it be a risk-informed, technology-neutral
19 approach. There was some effort in this a few
20 years ago by the NRC to develop such a
21 framework. So we see that as a mechanism for
22 a long-term solution.

1 Now, to enable this, it is going
2 to require some changes to the regulatory
3 framework. This can be done either through
4 rulemaking by the NRC or through legislative
5 changes. And in our White Paper we at least
6 begin to indicate how that may come to be, and
7 we are not pre-judging how it could be done.
8 I think the NRC does have some flexibility
9 within the current Atomic Energy Act. So we
10 are at this point making suggestions on how
11 best to proceed.

12 Now, in general, the issues fall
13 into three broad categories. The first is the
14 financial issues. The issue here is
15 principally, with the small electrical output,
16 the revenue base for a plant is smaller, and
17 so, therefore, certain costs, certain fixed
18 costs associated with the regulatory process
19 can become a significant fraction of the
20 revenue. So this is a particular issue in
21 terms of the economics of the SMRs.

22 Two things that we have written

1 papers on. One was the Price-Anderson, where
2 this is basically the insurance for
3 catastrophic events, and there's various
4 dollar amounts of insurance that a utility
5 would have to carry. And the problem is that
6 the value of the insurance would greatly
7 exceed the value of the plant in certain
8 cases. So what is going to be needed is a
9 kind of equitable approach to this, looking at
10 what makes sense for a smaller reactor in
11 terms of both potential consequences in an
12 accident, what the value of the plant is, et
13 cetera.

14 The other is that the NRC, of
15 course, collects its fees from utilities to
16 fund something on the order of 80 percent of
17 their budget. And it is a fixed fee for any
18 size plant. And certainly, when you have a
19 smaller output, that is going to be a larger
20 fraction of your revenue.

21 So we came to a recommendation of
22 a sliding scale based on power output. This

1 would also include the process heat
2 applications, where currently it is based on
3 the electrical output, and we really need to
4 be thinking of thermal output for both the
5 electric and the process heat applications.
6 So a sliding scale rather than a fixed fee is
7 what we recommended there.

8 The other major area is in
9 manufacturing. This is driven by the fact
10 that the idea for SMRs is that they will be
11 factory-produced and then shipped to a site.
12 So, basically, this is a new business model,
13 the factory fabrication versus site
14 construction, a completely new way of doing
15 business.

16 The problem is that the regulatory
17 framework for what we are calling
18 manufacturing license is weak at this point.
19 So what we need is a framework put in place
20 that addresses this new business model that
21 the SMR vendors are proposing.

22 We also have to address the export

1 control issues. This becomes complicated, and
2 multi-agencies would be involved, but if we
3 are really envisioning a future where these
4 reactors can be exported, then we need to have
5 the regulations for export licenses addressed
6 early on in the process to eliminate that
7 uncertainty.

8 And then, finally, there will be a
9 need to address the inspection and acceptance
10 process. So, if a plant is manufactured at
11 the factory, you would expect the inspection
12 to occur there. Then, there is potential for
13 redundancy in inspection and testing when it
14 gets assembled. So this all needs to get
15 worked through. And again, it really comes
16 back to this factory fabrication and how that
17 all comes together.

18 So, in summary, our Committee
19 really provided a unique opportunity to bring
20 the entire ANS community together from all
21 sectors and to develop options for dealing
22 with the generic licensing issues.

1 As I mentioned, we are just now
2 completing our interim report addressing about
3 eight of the 24 issues, and our work is
4 currently slated to continue through June of
5 next year, and we are hoping to develop papers
6 on the remaining issues in that timeframe.

7 And thank you very much.

8 CHAIR DOMENICI: Who is in charge
9 of this working group?

10 DR. KELLY: Philip Moore is the
11 Chair, and I'm one of his Co-Chairs.

12 CHAIR DOMENICI: Is he here?

13 DR. KELLY: Philip is not here
14 today, no.

15 CHAIR DOMENICI: What does he do?

16 DR. KELLY: He is a consultant.
17 He used to work at Tetra Tech and is at a
18 different organization now, but in the nuclear
19 energy area.

20 CHAIR DOMENICI: Well, who does he
21 report to? Who pays him?

22 DR. KELLY: This is all volunteer.

1 I mean the effort on the ANS is all volunteer.

2 CHAIR DOMENICI: Okay.

3 DR. KELLY: And we put the word
4 out that we were doing this, and people
5 volunteer their time. And of course, all the
6 companies are supporting this because there is
7 lots of interest in moving forward with this.

8 CHAIR DOMENICI: Right.

9 I want to go to the next witness,
10 and then we can answer some questions.

11 Then, our next panelist is Mr. Ray
12 Rothrock, partner in Venrock Capital.

13 Mr. Rothrock? You're the one that
14 asked to stand up.

15 MR. ROTHROCK: Good afternoon.
16 Thank you, Commissioners, for having me here
17 today.

18 I really want to say, first of
19 all, I welcome the Administration's, Secretary
20 Chu's establishment of this Blue Ribbon
21 Commission to address a very important issue,
22 America's nuclear future.

1 I submitted a longer paper that
2 substantiates and provides more evidence to
3 what I am going to try to cover here in the
4 next 10 minutes.

5 Just a little background about
6 myself, I'm not from the nuclear industry now,
7 but my name is Ray Rothrock. I'm a Managing
8 Partner at Venrock. Venrock is a venture
9 capital firm originally formed by the
10 Rockefeller family. I've been doing this for
11 23 years. I've invested in 47 companies. So
12 I guess I'm doing okay. In 2004, I
13 established Venrock's energy practice, to
14 begin to look into opportunities.

15 I started my career, though, as a
16 nuclear engineer. I worked for Yankee Rowe,
17 a 180-megawatt electric, by today's
18 definition, small nuclear reactor, pressurized
19 water reactor, built by Westinghouse. It cost
20 about \$50 million to build, standard fuel, 4.5
21 percent.

22 After that, I spent a year at

1 Exxon Nuclear before I went to the Silicon
2 Valley to be an entrepreneur.

3 I presently serve on the Boards of
4 the National Venture Capital Association, the
5 MIT Visiting Committee for Nuclear Science and
6 Engineering. I'm the Chairman of the Tri
7 Alpha, a venture-backed nuclear energy company
8 in southern California, and I have degrees
9 from Texas A&M and MIT in nuclear energy and
10 an MBA from Harvard Business School.

11 After conferring with Dr. Peterson
12 a couple of weeks ago, I thought I might just
13 give you a quick snapshot of venture capital.
14 Venture capital's mission is to identify and
15 sponsor entrepreneurs with world-changing
16 ideas, and they have been doing it for a very
17 long time. I daresay George Westinghouse and
18 some of those old guys, Edison, and so forth,
19 were some of the original people.

20 But, today, there are 794 venture
21 capital firms in the nation. They start 2,000
22 companies every year.

1 In the last 50 years, venture
2 capital has played a significant role in every
3 technology industry except nuclear. As of
4 2009, these companies that were originally
5 backed by venture capital were responsible for
6 \$2.9 trillion -- that's 22 percent of our GDP
7 -- and those companies employ 12 million
8 people, 11 percent of the private sector.
9 America's venture capital is probably one of
10 our greatest success stories.

11 And just to remind you of a few of
12 those, some of these names up here you no
13 doubt recognize. We are very proud that some
14 of our little startup companies do, in fact,
15 become very large, successful companies.

16 So, with that background as a
17 prologue, the first thing I would like you to
18 know, that many of us in the venture capital
19 industry do support nuclear power, and we
20 believe it is essential for America's future.
21 I also want you to know that the venture
22 capital industry wants to participate. I made

1 a survey about three weeks ago of all the
2 people I could get a hold of in my business
3 just to find out if I could say that.
4 Fortunately, and important to us, so do
5 entrepreneurs. And the result is a steady
6 stream of nuclear-based technologies that show
7 up on our doorstep.

8 But we have a problem. The
9 problem is that the federal agencies that
10 regulate nuclear activities in the United
11 States pose a significant barrier to startup
12 companies, so significant that many of them
13 never get a chance. Let me explain.

14 As everyone on this Commission
15 knows, the two main agencies are the DOE and
16 the NRC. Both of these are offsprings of
17 older organizations that were created during
18 the Cold War or at other times of crisis in
19 the United States. Therein lies the root of
20 the problem that these startups have with
21 these agencies.

22 These agencies are primarily watch

1 guards, caretakers of our current nuclear
2 infrastructure. To my knowledge, neither of
3 these agencies is really an advocate for
4 nuclear-generated electricity, and certainly
5 neither has been a partner to the private
6 sector in advancing nuclear power, certainly
7 not in a meaningful way in the last several
8 decades.

9 So, first, let me just summarize a
10 little briefly about the DOE. In the last 18
11 months, the DOE, under the leadership of
12 Secretary Chu, has made tremendous progress
13 toward reaching out to young energy companies.
14 We are very glad for that. There's a number
15 of programs that have been touched on here
16 today. We applaud this.

17 But as positive as that is, the
18 DOE can only focus so much on nuclear energy.
19 The DOE's budget proposal allocates just \$900
20 million to nuclear energy. That sounds like
21 a lot of money, and in my business that is a
22 lot of money. But the DOE's charter is so

1 broad, it will also spend \$27 billion on other
2 things.

3 So let me turn to the NRC. The
4 NRC has no relationship, formal or informal,
5 with the venture capital industry. Only
6 recently have members of the NRC even begun
7 showing up at conferences where these things
8 are talked about.

9 Why the gulf? If you read the
10 NRC's mission statement -- and it's on its
11 website, it's very clear -- nowhere is there
12 a mention of the generation of electricity by
13 nuclear power. It is all about materials and
14 public safety.

15 So, in my view, until young
16 companies can engage with a regulatory body
17 that is exclusively focused on promoting,
18 supporting, helping bring to market a
19 generation of nuclear-powered electricity,
20 they are going to turn and do other things.

21 Uncertainty is a killer for this
22 group. And just by the nature of this slide,

1 these two groups, there's lack of focus right
2 there staring you in the face.

3 So now it is my view that
4 retooling the NRC or parts of the DOE to focus
5 on nuclear-generated electricity would be very
6 difficult, if not impossible. I say this
7 because one thing I have learned doing venture
8 capital for the last 23 years is
9 organizational culture is crucial. It always
10 is set early, and it is usually set in stone.

11 Even if we could change the
12 mission statements and drive that through the
13 organizations, I don't believe we can wait the
14 decades it may take to transform those
15 agencies to do what they really need to do for
16 us.

17 This brings me to my first
18 recommendation, regulatory recommendation, to
19 the Subcommittee. I recommend that you create
20 a new agency. I called it the United States
21 Nuclear Power Agency. If you like that, I am
22 happy to donate it to the Commission, and they

1 can use it in their proposals going forward.

2 (Laughter.)

3 But, specifically, this agency
4 should do four things:

5 It should focus on the enablement
6 of the safe production of electricity from
7 nuclear power.

8 It should provide an orderly
9 review process and licensing process.

10 It should monitor the operations
11 of the fleet, once they are up and running.

12 And it should be accountable for
13 the safety for that fleet.

14 And fifth, I guess, is really
15 educate the public on the science-based
16 information.

17 The call to action for this agency
18 is an urgent one. We have done this before.
19 We did it with the AEC in 1947, the NRC in
20 1994, and then the DOE in 1977. We also did
21 it with the Manhattan Project, when we were
22 really threatened.

1 This is a big policy idea. I hope
2 that you will give it some serious
3 consideration.

4 So let me tell you why I think
5 this will work. Actually, Dr. Peterson has
6 already foreshadowed a bit of that.

7 In the venture capital industry,
8 we work very closely with the FDA. It is a
9 process that already does work. It can be
10 done. This would be a good model for a
11 successful partnership with the federal
12 government and the private sector.

13 Part of our issue is the length of
14 time it takes and the capital required. The
15 FDA helps us with that. Its mission, the
16 FDA's mission, taken from the website, is: to
17 protect the public from bad pharmaceuticals,
18 to assist in bringing worthy products to
19 market in a timely manner, to monitor these
20 products once they're in the market, and to
21 inform the public with science-based
22 information.

1 So let me illustrate with an eye
2 chart here. This chart is an actual process.
3 It is real data assembled by my healthcare
4 team at Venrock, and it is based on
5 experience. It is stepped. It has finite
6 steps with finite years and finite capital.
7 I am not going to take you through all of
8 that. That's not the point of this.

9 What is the point of this is that
10 not every drug submitted gets through the FDA.
11 In fact, very few do. The yield is very
12 small, but it is very efficient. It works
13 well with the private capital sector and
14 brings new products to market that benefit
15 everybody.

16 When I was talking to my
17 colleagues in the last three or four weeks, we
18 could not find a process similar to this in
19 our regulatory structure for nuclear.

20 I have two other recommendations
21 that I think would help young companies bring
22 nuclear innovations to market. The first is

1 a carbon tax, and the second is an agency
2 review process without charge-backs. Yes, I
3 am a capitalist and I'm sort of a free-market
4 capitalist, but I must say, as controversial
5 as carbon tax is, I think it is very
6 important, not just for nuclear, but for all
7 alternative energy.

8 It would enhance the speed of
9 innovation by drawing a bright line of
10 economic standards by which all nuclear
11 designs could be judged. This is crucial
12 because economics drive venture capitalists.
13 Economics drive entrepreneurs, not government-
14 based incentives and not subsidies. It is a
15 really crucial point.

16 My second recommendation is to
17 eliminate the charge-backs. It is my
18 understanding that when you submit something
19 to NRC, you are billed on an hourly basis for
20 the process of review. Well, in a five-year
21 review process, that could be a lot of money.
22 In fact, some survey did, it's anywhere from

1 \$50 to \$300 million. For a startup company,
2 even \$50 million additional burden to get
3 going is an enormous cost.

4 So, in summary, I just simply want
5 to say the DOE and the NRC, as good as they
6 are and as much great as they have done for
7 our country, simply are not, in my view,
8 geared to support young companies in pursuit
9 of nuclear power. The processes are too open-
10 ended and too uncertain.

11 My experience suggests that
12 changing the missions of these well-
13 established organizations really isn't
14 practical. Therefore, I would drive hard for
15 a new agency to be focused exclusively on this
16 urgent problem of generating electricity with
17 nuclear power in America.

18 In addition, I would recommend the
19 carbon tax at the source, not downstream, and
20 with the elimination of the charge-backs.

21 In closing, I know that venture
22 capitalists and entrepreneurs are the most

1 optimistic people in the world. We're always
2 long and we're always up and to the right.
3 Nuclear power is essential for America's
4 energy future. America once led the world.
5 In the development and deployment of safe
6 nuclear electricity, it can lead again.

7 Creating a new agency would send
8 such an unmistakable signal to the rest of the
9 world that we're going to lead this industry
10 once again and clean up our carbon footprint,
11 develop a secure sources of power, reduce the
12 national debt and the political instability
13 that comes from the purchase of foreign oil.
14 I just can only emphasize how important I
15 think that would be for this Commission.

16 I thank you for your time, and if
17 I can be of any further service, I'm at your
18 service.

19 CHAIR DOMENICI: Thank you very
20 much.

21 Let's proceed to our next witness,
22 the Director of Barclays Capital, Mr. James

1 Asselstine.

2 MR. ASSELSTINE: Thanks, Mr.
3 Chairman.

4 First, I apologize for not having
5 slides. I was on vacation last week when I
6 got the invitation, but I will send you some
7 written comments.

8 I will also send you my testimony
9 from February of last year before the Senate
10 Energy Committee, where I talked about
11 financing requirements and the loan guarantee
12 program. I think it still holds up pretty
13 well.

14 As the Chairman said, I am a
15 Managing Director at Barclays Capital. We are
16 one of the leading arrangers of debt and
17 equity financing for the electric utility and
18 independent power industry.

19 This is a very capital-intensive
20 industry. The lifeblood of this industry is
21 the availability of financing on a continuous
22 basis at reasonable cost.

1 CHAIR DOMENICI: Jim?

2 MR. ASSELSTINE: Yes?

3 CHAIR DOMENICI: Before you go on
4 too far, could we establish that there is life
5 in the private sector after working on
6 regulatory laws for the United States
7 Congress?

8 MR. ASSELSTINE: There absolutely
9 is.

10 (Laughter.)

11 CHAIR DOMENICI: So how many years
12 ago did you start with the --

13 MR. ASSELSTINE: It's a little
14 over 20 years ago.

15 CHAIR DOMENICI: And what
16 committee were we working on?

17 MR. ASSELSTINE: The Senate
18 Environment and Public Works Committee.

19 CHAIR DOMENICI: And do you
20 remember what law we were working on?

21 MR. ASSELSTINE: We worked on the
22 Nuclear Waste Policy Act, among others.

1 CHAIR DOMENICI: Yes.

2 (Laughter.)

3 And look where you went, and look
4 where I went.

5 (Laughter.)

6 MR. ASSELSTINE: Exactly. And
7 look where we are on the waste problem.

8 (Laughter.)

9 I think you and I have gone
10 farther than the waste issue has.

11 CHAIR DOMENICI: Yes, that's true,
12 but not very far to go brag about.

13 Okay. Thank you so much.

14 MR. ASSELSTINE: Yes, yes.
15 Certainly.

16 So this is a very capital-
17 intensive industry. The lifeblood of this
18 industry is the availability of financing at
19 reasonable cost.

20 For that reason, this industry is
21 predominantly structured as an investment-
22 grade industry. So the bargain between

1 investors and the industry is that investors
2 are willing to accept modest returns for the
3 money that they lend to the industry, and in
4 return, they expect to take modest risk. So
5 investors put a premium on long-term stability
6 and predictability.

7 This is also an industry that
8 builds assets that have a very long life. So
9 the assets are operating for in excess of 30
10 years in many instances, which means that the
11 industry also needs to arrange long-term debt
12 financing. So financing is frequently 30
13 years in terms of term. So, again, that
14 reinforces the need for predictability and
15 stability over a very long period of time.

16 I am going to touch on the first-
17 mover barriers, what federal actions are
18 needed to make the initial group of proposed
19 plants a reality, and then I will touch
20 briefly on the price signals question that you
21 raised as well.

22 For new nuclear, Rebecca put her

1 finger on it. The key challenge for new
2 nuclear plant development in this country is
3 financing, and that challenge is driven, in my
4 view, by two considerations. No. 1, the scale
5 of the projects relative to the size of the
6 companies within the industry and, No. 2, the
7 unique regulatory requirements that apply to
8 new nuclear plants through the NRC licensing
9 process, and the potential risks and
10 uncertainties that that can pose to the
11 investment.

12 In terms of the magnitude of the
13 capital investment, it appears that, while the
14 numbers are still moving around a bit as
15 companies work on finalizing standard designs
16 and negotiating equipment procurement
17 contracts, that the first-movers are likely to
18 cost in the neighborhood of \$4 to \$6 billion
19 per reactor, when you add in not only the
20 construction cost but also the financing and
21 the utilities costs, and that would mean \$12
22 to \$16 billion if you wanted to build a two-

1 unit site, which makes a great deal of sense
2 in terms of operations of the plants.

3 If you look at the largest
4 companies within this industry, Mike's company
5 has a market capitalization of \$27 billion.
6 The Southern Company has a market
7 capitalization of \$31 billion. So, if you're
8 building a \$12 to \$16 billion plant, you are
9 making a huge bet in terms of the size of the
10 company.

11 Compare that to Exxon-Mobil.
12 Exxon-Mobil has a market capitalization of
13 over \$300 billion. They routinely do \$10 to
14 \$20 billion projects, but the risk is on the
15 order of 10 percent or 15 percent of their
16 market capitalization or less than that. So
17 the risk for the companies in this industry
18 around building new nuclear plants is
19 substantial.

20 Other risks, these are complex
21 machines; large-scale construction projects.
22 Because of the licensing requirement, the

1 planning, licensing, and construction process
2 is about 10 years to build a new nuclear
3 plant, a very long period of time. And it is
4 difficult to manage and fix costs over that
5 long a time period.

6 The ability, as a consequence, of
7 project owners to mitigate risk is more
8 limited in terms of building a new nuclear
9 plant than many of the other available
10 alternatives.

11 As some of our previous speakers
12 have mentioned, the new technology being
13 pursued for the first-movers is evolutionary.
14 My own personal view is the technology risks
15 are not the dominant risks here. They really
16 are financing.

17 The plants are similar in many
18 respects to the existing technology. That
19 technology is really quite mature. So I think
20 technology risk is much lower around new
21 nuclear investments, and that is really in
22 contrast to something like clean coal and

1 carbon capture and sequestration, where I
2 think the technology risk is considerably
3 higher.

4 We have a new, but untested
5 regulatory process, as Rebecca described it.
6 That process holds great promise to reduce
7 financing risk, but we haven't proven that
8 process yet by working the initial group of
9 plants through the process. The risk and
10 uncertainty will continue in investors' minds
11 until that first group of plants moves their
12 way through the process.

13 What investors want more than
14 anything else is to see as many issues as
15 possible resolved at the earliest part of the
16 process, so that once you start to expend
17 substantial amounts of money on the capital
18 investment in the plant, the regulatory risk
19 is relatively low or certainly bounded going
20 forward.

21 What investors don't want to see
22 is significant regulatory risk and uncertainty

1 around the ability to bring the plant into
2 operation after the capital investment has
3 been substantially made in the plant.

4 The new process holds great
5 promise to achieve that objective, but we need
6 to demonstrate that through the early movers
7 and mitigate the risk for the early movers as
8 well.

9 The tools, in my view, to mitigate
10 the risks around the first-movers are there.
11 Many of them were included in the Energy
12 Policy Act of 2005. Senator, you were
13 instrumental in putting many of those
14 provisions in the law, and others at this
15 table I think worked on some of the efforts
16 that led to those initiatives. I will hit
17 just a few of them briefly.

18 The Loan Guarantee Program. In my
19 view, the Loan Guarantee Program is a very
20 important element for the first-movers. For
21 the unregulated generation or merchant plants,
22 as Mike described, I think the Loan Guarantee

1 Program is essential to obtain the debt
2 component of the financing for the project,
3 but it is also very beneficial for the
4 regulated utilities, given the size of this
5 investment compared to the size of the
6 companies in the industry.

7 There have been a number of
8 positive steps over the past two years in
9 resolving some of the uncertainty around the
10 Loan Guarantee Program. When the Energy
11 Policy Act was first passed, the Department of
12 Energy, in my view, did not have the project
13 finance expertise it needed to process and
14 evaluate loan guarantee applications. I think
15 they do now, largely as a result of some of
16 the effort over the past couple of years.

17 There were some technical problems
18 with the DOE's implementation regulations for
19 the Loan Guarantee Program. Those have also
20 been fixed as well.

21 At the same time, progress has
22 been extremely slow. It is almost five years

1 since the passage of the Energy Policy Act,
2 and to date, we have one conditional loan
3 guarantee approval for a new nuclear plant,
4 for the Vogtle units. And to me, that
5 progress is much slower than what we need.

6 The existing loan guarantee
7 capacity, as Rebecca mentioned, is currently
8 at \$18.5 billion. Roughly \$8 billion of that
9 is now committed to the Vogtle units. That
10 leaves enough perhaps to provide loan
11 guarantee commitments for one additional
12 plant. We clearly need more than that. The
13 \$36 billion of additional authority that the
14 Department has requested for the fiscal year
15 2011 budget is a step in the right direction.
16 We may need more than the \$54 billion, though,
17 to deal with the first-movers.

18 The loan guarantee commitments
19 also need to be workable and economic from the
20 standpoint of the companies. So the
21 arrangements have to work, and they also have
22 to provide reasonable and economic financing.

1 I think there is a question in
2 terms of how the Department is assessing and
3 evaluating the subsidy costs for the loan
4 guarantees. I think the Department needs to
5 be realistic, both on the probability of
6 default and on the likelihood of recovery, if
7 the loan guarantees are really going to work.

8 Tax incentives you asked about.
9 The Energy Policy Act provides production tax
10 credits for 6,000 megawatts of new nuclear
11 generation. That is a useful benefit. There
12 have been legislative proposals to convert
13 that to an investment tax credit that would
14 accelerate the recovery by the companies. I
15 think that is a useful thing to do. Also,
16 accelerated depreciation would be a useful
17 step as well.

18 The standby risk insurance
19 provides protection for six units against
20 regulatory delays and the costs associated
21 with that. There is more protection for the
22 first two units, less for the subsequent four.

1 I think expanding the level of protection
2 would be useful there as well.

3 I personally support a number of
4 the provisions that were included in Senator
5 Kerry's and Senator Leiberman's climate change
6 bill to help facilitate the development of the
7 first-movers on the nuclear side. I think
8 that is very useful as well.

9 Let me wrap up just by saying
10 that, if you look at the zero-carbon or low-
11 carbon energy alternatives in the power
12 sector, virtually all of them face
13 uncertainties and risks and costs that are
14 higher than traditional fossil-fired
15 generation. And if we are going to build more
16 low-carbon or zero-carbon generation, as I
17 think we should, then we are going to need
18 some federal financial help and support to
19 balance the playing field and make sure that
20 those alternatives are going to be available.
21 So a number of the elements that I have
22 mentioned for nuclear I think would benefit

1 from that as well.

2 Thank you, Mr. Chairman.

3 CHAIR DOMENICI: Thank you very
4 much. Very good.

5 Now let's move on to our last one,
6 Mr. Jack Spencer -- thank you for joining us
7 -- a Research Fellow at the Heritage
8 Foundation, is that correct?

9 MR. SPENCER: That is.

10 CHAIR DOMENICI: We are delighted
11 to have you. We appreciate it.

12 MR. SPENCER: That is correct, and
13 thank you, Senator, for inviting me here
14 today, and I want to thank the Commission as
15 well.

16 I am going to focus more on the
17 fuel cycle part of the discussion today, some
18 of the first-movers, some of what I feel the
19 problems are, and perhaps some solutions.

20 Let me first just quickly talk
21 about what I think is wrong with the current
22 system. And in a word or a couple of words,

1 it's the federal government. Theoretically,
2 so long as the government is responsible for
3 waste management, waste producers I believe
4 have limited interest in developing a
5 comprehensive solution. If the federal
6 government is going to do it, then why should
7 anyone else, essentially? And that is sort of
8 the system we have today.

9 But, in addition to that, I mean
10 we have experience now. Practically, the
11 federal government has simply not fulfilled
12 its obligations under the Nuclear Waste Policy
13 Act. So, not only practically do I not think
14 that our current system is credible, but
15 practically it hasn't worked.

16 And what this system has done is
17 it has created an economic disconnect between
18 the waste producer's interest in a solution
19 and what that solution actually is. Because
20 you only pay a fee and you are not responsible
21 for it if you are waste producer, then why do
22 you care if you put it in Yucca Mountain or

1 reprocess it or develop some other reactor
2 technology that might give you more efficient
3 waste product? None of those things really
4 come into question. What really matters is
5 that the federal government takes title of
6 that waste in whatever form it is. So there
7 is no economic incentive there.

8 There's no accurate price signals
9 in the current system. You simply pay a fee.
10 We don't know if we are going to put it in
11 Yucca Mountain, shoot it to the moon, put it
12 in the sea, let it sit there for 100 years or
13 300 years now, apparently. We don't know what
14 is going to happen, but we do know that it is
15 going to cost the mill. Well, that's not
16 really an accurate thing, I think.

17 It undermines full fuel cycle
18 solutions. Because the waste producer only
19 cares about -- or they don't care about how
20 that waste is produced; they only care about
21 producing electricity. They're allowed to
22 build business models around the fuel, the

1 operations, but not waste management. So we
2 are not developing a fuel cycle solution that
3 considers the entire fuel cycle. So we need
4 to fix that.

5 And because of that, what you end
6 up with is stifling competition and
7 innovation. If I am not responsible for how
8 the waste is managed, then I am not going to
9 get into the marketplace and try to drive that
10 technology in one way or another because,
11 frankly, it doesn't matter to me. I just need
12 the government to take that waste from me.

13 What that ends up doing is it
14 stifles competition, not just on the waste
15 management side, but also on the reactor
16 technology side. As we all know, your waste
17 package, what comes out the back-end of the
18 fuel cycle has a lot to do with how that fuel
19 is engineered, what reactor that fuel goes
20 into.

21 Once the waste producer becomes
22 financially responsible or has a financial

1 interest in that process, then they start
2 driving competition on that front-end and on
3 the back-end. That, then, starts to drive the
4 competition all these different ways.

5 We don't need government
6 bureaucrats to tell us what to do. The
7 marketplace can tell us what to do, if we
8 align the incentives properly.

9 So how do we fix these problems?
10 Well, it's not, in my estimation, it is not a
11 tweak, it's not fix the Nuclear Waste Policy
12 Act a little bit here, a little bit there, a
13 loan guarantee maybe, or something like that.
14 We need real reform.

15 Now I am not saying I agree
16 necessarily with Mr. Rothrock's idea of
17 reform, but the totality of the reform I do
18 agree with. And that is what I think we need.

19 I would start off with -- and I
20 have a list of things here. They don't
21 necessarily go in order. I think this has to
22 be part of a reform package.

1 We have to empower waste producers
2 to take responsibility for waste management
3 certainly going forward. I think that that,
4 to me, is the key to all of this. If we
5 continue to leave the responsibility of such
6 an important part of how we produce energy in
7 this country, which is waste management,
8 nuclear waste management, in the hands of the
9 Department of Energy, we are standing at the
10 threshold of a nuclear renaissance and we are
11 never going to cross it.

12 We might build a reactor or three
13 reactors or five reactors, but are we going to
14 have the sort of nuclear renaissance, the
15 burgeoning of technology that truly will allow
16 us to change the world, that will bring
17 electricity to not just me and you in America,
18 but all across the world.

19 We hear about small reactors, big
20 reactors, all these things. All these things
21 I believe can be driven forward, but it won't
22 be done by government. It has to be done by

1 the private sector, and that won't be done
2 until they are responsible for their own
3 nuclear waste.

4 At the heart of this is we need to
5 repeal the mill and introduce a fee-for-
6 service system governed by the free market,
7 but overseen by federal overseers. So the NRC
8 or some derivative thereof, they would be
9 responsible for overseeing it, but they are
10 not going to make the decisions, DOE is not
11 going to make the decisions on how to do it.

12 Simply put, if I produce waste,
13 companies will come to me or I will go out
14 into the marketplace to decide who and what
15 way I want to manage the waste I produce.
16 That doesn't mean the federal government
17 doesn't have a role in transitioning to this
18 system. Because I acknowledge that the way we
19 do it now, and sort of the way I want to do
20 it, you can't just snap your fingers and make
21 it happen. There is a transition.

22 I think one role, one critical

1 role for the federal government to play in the
2 near-term is to site and permit a geologic
3 repository, not run it, but site it and permit
4 it. I think we have a perfectly good one in
5 Nevada; others disagree with me, although I
6 don't know how many of them there are, but
7 there are some or one who does.

8 Regardless -- I am getting off-
9 track now -- we need a geologic repository.
10 I think that it is a legitimate federal
11 government role, given the history of where we
12 have been in the last 50 years, to do that.

13 We need to create an entity to
14 manage the geologic repository, including
15 putting a price on emplacement. And that's
16 really important. Notice I said just to
17 manage the repository, not to manage nuclear
18 waste. And I would prefer it to be a private
19 organization, but if we want a federal
20 organization, that's fine.

21 But by putting a price on geologic
22 repository space, you then have the foundation

1 on which to build a market-based system.

2 Because geologic repository space at that
3 point becomes a scarce commodity potentially.

4 We know that Yucca Mountain has a
5 finite amount of space. We have a finite
6 amount -- or we have nuclear waste. By
7 creating a price for an emplacement, as that
8 commodity goes down, the price for it goes up.
9 As the price goes up, you then send the price
10 signal into the marketplace that you need to
11 do something else with your nuclear waste, or
12 maybe you don't. Maybe you are willing to pay
13 the higher cost. What I am saying is, once
14 you put a price on that commodity, you then
15 start creating incentives to do other things
16 with the waste.

17 We need to abolish the Office of
18 Civilian Radioactive Waste Management. In
19 fact, I might put that one No. 1.

20 Then here's the other key: we
21 need to require that all new plant permits
22 include strategies for complete waste disposal

1 as part of plant decommissioning. So,
2 whenever you get your permit for a plant, you
3 have to have a plan to get rid of your waste,
4 and that plan can be changed over time, but
5 you need to have a plan to get rid of your
6 waste by the time, say within 100 years.

7 So the plan may be just to put it
8 in Yucca Mountain or wherever the geologic
9 repository space is or it might be to do other
10 things, but you need to have a plan, not for
11 the government to define that plan, and you
12 have to have a way of financing it.

13 I think by putting something
14 together like this, you then start to be able
15 to build out from that and you are able to see
16 how the government doesn't need to define
17 whether we do this technology or that
18 technology. The marketplace can begin
19 defining those things for us and look at real
20 solutions. Because at that point the ability
21 for the waste producers to make money is
22 hinged on the ability to get rid of the waste.

1 And I am confident enough in
2 nuclear energy, the technology broadly, that
3 we will come up with a solution to do that.
4 It won't kill the industry. It will actually
5 lift the yoke of this burden from the industry
6 and allow it to go places we never thought it
7 could.

8 Now the government's role in this
9 would be to regulate, take final title of any
10 decommissioned geologic repository. So, say
11 we fill it up and turn the key. I agree that
12 the government should take title of that, and
13 I am even sort of okay with some basic R&D
14 work, though I don't even think that is
15 necessary. But I think we have a good
16 foundation that we can reach into the
17 government for that.

18 And with that, I will leave it
19 there. Thank you very much for the chance to
20 talk.

21 CHAIR DOMENICI: Thank you very
22 much, Mr. Spencer.

1 Now I assume we all have some
2 questions, and I am not entitled to go first
3 because I excused myself a couple of times.
4 So I will go after you all, and then I will
5 catch on somewhere here. All right?

6 We will take Per first, and then
7 you are next.

8 CHAIR PETERSON: Okay. Thank you,
9 Senator.

10 I would like to start with just a
11 couple of quick takeaway points.

12 John, I will look forward to
13 seeing the report with all the detailed
14 information that was learned from the SMR
15 licensing, the SMR Special Committee. That
16 will be helpful.

17 Ray, on the phased licensing
18 process and the analogy with the FDA, that is
19 also, I think, a helpful thing to think about
20 in terms of structuring when it is you learn
21 things.

22 I would like to start. I have got

1 I think two, possibly three questions, but a
2 question for Jack Spencer.

3 You note that the repository
4 operation and such probably is best done
5 within the private sector. Another important
6 question is, should it be treated as a natural
7 monopoly or do we want to have multiple
8 repositories? Well, the ideal of multiple
9 repositories sounds a little bit ambitious.

10 (Laughter.)

11 So should it be structured like a
12 natural monopoly?

13 And then, the next question would
14 be the back-end of the fuel cycle, the other
15 part is potential reprocessing. Is that an
16 activity that should be treated as a natural
17 monopoly or is it best treated as a commercial
18 activity, if you could answer?

19 MR. SPENCER: I would look at
20 waste management as your marketplace and
21 geologic storage as one option in that
22 marketplace and one type of reprocessing being

1 in that marketplace. So you have waste
2 management service providers competing for
3 different things.

4 Now, regarding the geologic
5 repository, I think starting off, yes, it
6 would be a monopoly. You would have one
7 geologic repository space, and it would be
8 what it is.

9 Now I disagree, though, that it
10 would be the only repository space because
11 here's what I think would happen or could
12 happen: as you have the repository space in
13 place and people are using it, and it is done
14 safely and there's economic growth around it,
15 and it starts to fill up, and the price for
16 that space increases significantly, you might
17 have people down here at Carlsbad saying,
18 "Maybe we can get in on this action," or
19 somewhere else.

20 And then you start to build
21 competition for repository space, but all that
22 will be dependent on us having a buildout of

1 nuclear power. I think that is one of the
2 mistakes we have, is that there is sort of
3 this assumption we are going to build all this
4 nuclear power; therefore, we need all this
5 waste management service.

6 I think that if we start off with
7 Yucca Mountain, put a price on that,
8 everything else will unfold from that.

9 CHAIR PETERSON: So, starting out,
10 a geologic repository can be treated as a
11 natural monopoly. The other elements probably
12 should be treated as not being natural
13 monopolies?

14 MR. SPENCER: They would emerge as
15 the market would dictate.

16 CHAIR PETERSON: Okay. The next
17 question relates to loan guarantees. And they
18 are clearly an important part of the financing
19 for first-movers.

20 Also, Rebecca's slide showing the
21 magnitude of these project costs versus the
22 capitalization of utilities is important as

1 well.

2 One of the things I am curious
3 about, the first point is that the loan
4 guarantees are structured so that there is
5 private equity at risk and, therefore, nobody
6 comes into one of these projects with
7 something they think is going to fail
8 commercially because they will lose money to
9 begin with, which is a better structure
10 perhaps than a typical federal procurement
11 contract, where you can make more money if you
12 lose money.

13 So what I am curious about is,
14 once we get experience from the first set of
15 loan guarantees, that will address the problem
16 that we face with respect to the first-mover
17 risks, but it doesn't fix the problem that we
18 face with respect to the fact that we have
19 utilities in the United States which are
20 highly fractured. In other words, we have a
21 highly fractured-up utility industry compared
22 to most countries.

1 So the thing I am curious about
2 is, would it make sense at some point to make
3 use of federal loan guarantees as a means to
4 address this problem that utilities have a
5 difficult time pooling risk? And if you were
6 to set a credit subsidy fee specific to
7 nuclear projects that covered the level of
8 risk that we learn about over time, would this
9 provide a mechanism in the longer-term to
10 finance these projects for utilities?

11 Because, in essence, the other
12 thing that loan guarantees do is they give you
13 a mechanism to pool risk. Taxpayers really
14 aren't liable for the federal loan guarantees.
15 What is happening is that you are transferring
16 risk over to students, and there's a whole
17 host of other loan guarantees that also pay
18 subsidy fees.

19 So I just would like to have a
20 perspective about the potential longer-term
21 role loan guarantees might play from the
22 perspective of addressing the problem we face

1 with financing these projects in the United
2 States, given the structure of our utility
3 industry.

4 Maybe, Jim, if you could start?

5 MR. ASSELSTINE: Sure, let me
6 start, yes.

7 Well, your first point is
8 absolutely correct. First, the law caps the
9 maximum amount of the loan guarantee at no
10 more than 80 percent of the cost of the
11 project.

12 So, even for unregulated
13 generation projects that would likely have
14 more debt in their capital structure, you
15 still would have a substantial equity cushion.
16 The level of protection for the government is
17 considerably stronger with a regulated utility
18 because most regulated utilities are financed
19 with a capital structure that is roughly half
20 equity and half debt. So the amount of debt
21 exposure for a new nuclear project for a
22 regulated utility is likely to even be lower

1 than that.

2 So that really got to my point
3 earlier about the level of risk that the
4 federal government was taking and how that
5 tracks with the subsidy cost.

6 On your question of could this
7 provide a vehicle for the longer-term
8 financing, I think the answer is, yes, it
9 could. I think you could make a good argument
10 that the loan guarantee money or the
11 government's commitment to support new nuclear
12 construction through the loan guarantee
13 project process could get recycled over time
14 into future projects.

15 In fact, your risk around a new
16 nuclear project drops fairly substantially
17 after the unit enters commercial operation.
18 We do have available traditional financing for
19 largely nuclear unregulated generation
20 companies where the assets are in operation.

21 So one option or one possibility
22 might well be you recycle the loan guarantee

1 money into new construction projects; you
2 refinance some of that debt with more
3 traditional debt after the units have entered
4 commercial operation.

5 The other problem that you
6 mentioned, the relatively fragmented nature of
7 our industry, unfortunately, is a very
8 difficult problem to come to grips with. It
9 really relates to the fact that our utilities
10 are regulated by individual states. The
11 individual states really like having their
12 utility headquartered in the state. They
13 really want to maintain direct control over
14 the utility, and regulatory uncertainty in
15 terms of getting approvals for large-scale
16 mergers within this industry has probably been
17 the principal impediment to greater
18 consolidation within the industry.

19 And unfortunately, I don't see
20 that problem going away. We have seen some
21 successful large-scale mergers, but they are
22 very difficult. And regulators can either say

1 no, because they want to maintain their own
2 direct control over their local utilities, or,
3 alternatively, they can demand that ratepayers
4 be given all or most of the economic benefits
5 from the merger, which takes away the
6 incentive to consolidate within the industry.

7 CHAIR PETERSON: Okay. Any
8 additional comments? Rebecca?

9 MS. SMITH-KEVERN: Yes, sir. The
10 loan guarantees are the responsibility of the
11 Loan Guarantee Project Office, which is
12 outside the Office of Nuclear Energy. So they
13 would be the ones that you should direct any
14 further comment on that subject to.

15 CHAIR PETERSON: Okay. Thanks.

16 MR. ROTHROCK: The one comment I
17 would make is that venture capital is largely
18 an equity game. However, when we prove
19 technology and prove products, that they work,
20 and we need to deploy them, that is where the
21 DOE has stepped in very nicely, mostly with
22 grants. We have a number of companies that

1 receive large grants.

2 And of course, everybody knows the
3 Tesla story and the Solyndra story. These are
4 huge grants as well as loan guarantees to
5 build out these facilities.

6 So it is a very important element
7 of our strategy when we start one of these
8 projects.

9 CHAIR PETERSON: Could I have just
10 one quick additional question, which is on a
11 different type of subsidy?

12 In the commercial space launch
13 industry at this point, we are actually seeing
14 the emergence of very, very competitive
15 capability to transport cargo into low-Earth
16 orbit and strong incentives to get the
17 government out of that business completely.

18 One of the things that DARPA did
19 that caused that to happen was to finance
20 these launch companies to launch test cargo up
21 into space, and this provided a revenue stream
22 early on in the demonstration process that

1 allowed these companies to move forward.

2 I am curious if an analogous thing
3 might be possible for new reactor and fuel
4 cycle technologies where the federal
5 government might, for example, procure test
6 services for new fuels or coolants or
7 materials or chemical processes as a mechanism
8 to, again, incentivize the construction of the
9 very first-mover plants.

10 Maybe, Jack, if you have a comment
11 on that?

12 MR. SPENCER: Yes, just quickly, I
13 wouldn't advocate something like that on the
14 fuel side, but on the waste management side we
15 have 60,000 tons of waste that the federal
16 government currently is supposed to hold title
17 to, which I think would provide a very good
18 way to give some long-term contract, and to do
19 it exactly with what you just said. So I
20 think it is very analogous and possible to do.

21 MR. ROTHROCK: I think it is a
22 great idea with particularly the SMR in mind.

1 I mean you can have military bases, others,
2 you know, National Laboratories, could all be
3 powered by small power reactors. That
4 essentially provides a buyer for those
5 products, i.e., electricity generated through
6 nuclear power. So that actually is a good
7 idea.

8 CHAIR DOMENICI: Thank you very
9 much.

10 I told you that you were next,
11 Allison, but I cheated.

12 (Laughter.)

13 I forgot about myself. So I am
14 going to do two or three and then let you come
15 next. Is that all right?

16 MEMBER MacFARLANE: I'll forgive
17 you.

18 CHAIR DOMENICI: You will? You
19 don't look too forgiving, but I'm going to do
20 it anyway.

21 (Laughter.)

22 I want to tell the Commission I am

1 very pleased that the 2005 law is cited so
2 much by so many witnesses about the future of
3 nuclear power because another staffer, who is
4 not with us today, and I did about 90 percent
5 of the writing and drafting of it.

6 And I would want to say for the
7 record that, between the passage of this bill
8 and carrying it out in the White House under
9 a Republican President with a Republican
10 Secretary of State, that carrying it out has
11 been absolutely abysmal.

12 As a matter of fact, what we are
13 now doing with that law was not even intended.
14 We went and wrote a law which did not require
15 appropriations, and look at what we're hung up
16 on. We are waiting around for an
17 appropriation. It is really written literally
18 where it is an Executive program. Congress
19 gets involved if they want to by addressing
20 the program, but not the loans. That is the
21 way it is written. That is the only way it
22 will work really.

1 Now it has been such a good
2 incentive to move ahead, that it is working,
3 in spite of them doing it wrong. The heavy,
4 upfront payment was intended to make this part
5 of a pooled process, the pooling of the
6 contributions. As soon as you had a few of
7 them out, you had a pool that would satisfy
8 the debt, and, clearly, nobody would say that
9 the government would have to pay, unless they
10 all went bankrupt, the entire fleet of either
11 small ones now or big ones that we are
12 funding.

13 So, having said that, I want to
14 move on to say to the gentleman who is a
15 venture capitalist, I think whether we are
16 able to carry out in any way what you
17 recommended or not, this was an excellent
18 experience for us who are working on this
19 Commission. And for the little time you
20 spent, I appreciate it.

21 The only way I see it, however,
22 that we apply it is on the small modular

1 reactors. I don't know how it could apply to
2 the large \$5-to-\$6-billion plants. Maybe it
3 could or maybe partial, and if we do it, we
4 probably ought to make it available to
5 whatever we state in the bill. But it is the
6 small ones that we ought to be worried about
7 now.

8 I want to say to John and Ms.
9 Smith-Kevern, if we miss this one, we ought to
10 all get spanked. The world is waiting to use
11 small reactors. It is very hard to tell why
12 now because they have been around for a while,
13 but the United States of America has a chance
14 to become the focal point and the
15 manufacturing base for this product, not only
16 here, but across the world.

17 They want them licensed here. But
18 if we take too long in making it applicable,
19 they are going to find another way to license
20 them.

21 The people that are furthest along
22 with using them are Americans who want them

1 used here, but I guarantee you they won't wait
2 very long. They will be owned by a foreign
3 country or company or they will get out of
4 here and do their work somewhere.

5 It should not take so long, Mr.
6 Kelly and Department of Energy lady. It
7 should not take so long to get what's needed
8 to be done to make this program viable for the
9 small reactors. They need changes. And
10 whoever in this government is supposed to do
11 that, shame on them if we don't get it done
12 and offered to somebody in the next six to
13 eight months. My bet is it's going to be six
14 to eight years, and it will be gone. They
15 will be announcing where they are going to be
16 built, and here we lose another opportunity to
17 manufacture.

18 End of statement on that one. I
19 just wanted to make it clear because it does
20 bother me quite a bit.

21 Now I would like to ask Mr.
22 Asselstine, do you see the loan guarantees

1 working better than they have in the past?
2 Should it take as long now from what you know
3 exists or from what you have heard and read
4 about exists over there in the Department now?

5 MR. ASSELSTINE: I think we are
6 farther along today than we were a couple of
7 years ago, but I think the level of progress
8 is still painfully slow. I think that we
9 should see more commitments. If we are ever
10 going to get to a significant number of
11 additional reactors, I think we really need to
12 get the first-movers moving along.

13 If you think about what has
14 happened over the past couple of years, we
15 have a little bit of time. As a result of the
16 recession, electricity demand dropped by about
17 5.5 percent over the past two years. And
18 prior to that, electricity demand was growing
19 by 1.5 to 2 percent per year.

20 So, if you think about where we
21 are today versus where we would have been
22 without the recession, we are about 8 percent

1 in terms of electricity demand down from where
2 we otherwise could have been. That has given
3 us a few years. So there's a little
4 additional level of flexibility here, but it
5 is time to get on with it. And having only
6 one loan guarantee conditional commitment
7 issued so far, to me is not great success
8 after five years.

9 CHAIR DOMENICI: I am going to
10 close with one further observation and
11 question of our staff. Somebody mentioned,
12 one of you -- I don't know which one -- or the
13 previous testimony, that one of the companies
14 involved as a potential first-mover had made
15 a contract or signed a commitment to buy the
16 big pot that goes in the light water reactors,
17 had signed a contract to buy it -- was it you?
18 -- to buy it from the only place that makes
19 them, as I understand it, Japan.

20 Can you imagine, only one country
21 makes the big bowl that is necessary for a
22 nuclear power plant, and it's not us, and it

1 soon may be Korea before it will be us, but
2 it's Japan?

3 Now it was said that one of our
4 companies contracted for that. I don't think
5 it is the company that has anything to do with
6 the current loan guarantee that was issued
7 conditionally. I think it is one of the
8 first-movers, but they don't have any
9 agreement.

10 But look what they have done. It
11 is such a slow process that they have
12 purchased the pot which isn't needed for two
13 or three years and stuck their neck out to pay
14 for it. Because the system is so slow, if
15 they wait until the end, they will get delayed
16 another two or three years waiting for one.

17 They also have bought many things
18 for the power plants before they have gotten
19 loans because they are so anxious about the
20 delays that are going to occur later.

21 I wonder if our staff could ask
22 DOE if they have some kind of an idea of how

1 much has been invested in that kind of thing
2 in preparation for licensing by companies here
3 in America, either American or otherwise. I
4 would like to have that for the Commission, so
5 we could see it.

6 With that, I think Allison was
7 next.

8 MEMBER MacFARLANE: Okay. Thank
9 you. Thank you all.

10 Two questions, starting off with
11 an observation. And the observation is
12 prompted by Mr. Spencer's suggestion that we
13 put a price on the space in a geologic
14 repository. I think this focus on space in a
15 repository is partly a result of the Nuclear
16 Waste Policy Act's statutory limit on the size
17 of the repository, which is arbitrary, I might
18 remind you.

19 I would like to also remind people
20 that really nuclear doesn't produce much waste
21 compared to most other. So really it doesn't.
22 It is not such a big deal.

1 Yucca Mountain may have its own
2 geologic limits, but that's Yucca Mountain,
3 and not every other site would be the same.

4 And the space thing is also, you
5 know, that's not really the most of the cost
6 in a repository. The large chunk of the cost
7 comes from planning and characterizing, not
8 just drilling that extra few hundred meters.
9 So I don't really know how you operationalize
10 that.

11 And the other thing that I
12 wondered about in your talk was that you said
13 the federal government should be involved in
14 siting the repository, and I don't see why.
15 I don't see that that's consistent with the
16 rest of your argument, but that's not what I'm
17 going to ask you about.

18 I'm going to ask you about what we
19 should do with the high-level waste in the
20 nuclear weapons complex, and should that be
21 entirely divorced from your suggestion?

22 Otherwise, you have private

1 companies that don't produce the waste
2 carrying out the solution to that waste. So
3 that's why we actually have the situation we
4 have in this country.

5 That's one question. I have
6 another question after that.

7 MR. SPENCER: Just quickly, on the
8 space question, I use that sort of as
9 shorthand. What I think is there should be a
10 cost to put waste in Yucca Mountain, whatever
11 that cost is. And in what I have written, I
12 suggest there be a formula done, but there
13 would be some cost associated with placing
14 waste in Yucca Mountain. And if space doesn't
15 decrease, you know, space isn't an issue, then
16 the cost always will be what it is.

17 It is just that there is a pricing
18 mechanism for putting waste in Yucca Mountain.
19 Maybe I described it not as technically-
20 accurately as I should have in the brief
21 discussion.

22 For defense waste, I argue that

1 the Department of Defense would simply be a
2 waste services purchaser. So they would pay
3 Yucca Mountain to put their defense waste in
4 there, just as --

5 MEMBER MacFARLANE: Yes, but some
6 of that defense waste has big security
7 implications. So I don't know.

8 MR. SPENCER: And that's part of
9 the federal government's oversight role. I
10 mean there are private companies who deal with
11 all sorts of high-level waste right now. Our
12 whole nuclear Navy program --

13 MEMBER MacFARLANE: Yes, I know.

14 MR. SPENCER: -- is privately run.

15 MEMBER MacFARLANE: Privately run
16 but tightly overseen.

17 MR. SPENCER: So let's make this
18 tightly overseen. I'm simply trying to find
19 a solution to get this ball rolling, and the
20 current one to me isn't working.

21 MEMBER MacFARLANE: Okay. The
22 other question goes to Mr. Rothrock and Jim,

1 and it has to do with the economics question.
2 So I've got a number of little questions here.

3 One is, do you see a future, a
4 large future, for nuclear power without some
5 kind of carbon cap or tax? And how do these
6 small modular reactors and other advanced
7 technologies like, you know, these fast
8 reactors that we were talking about this
9 morning, fit into some of the stuff that you
10 were talking about? And especially you, Jim,
11 I would like you to look out a little bit
12 further into the future.

13 MR. ASSELSTINE: Yes. Well, let
14 me start, and I will start with carbon
15 controls because my own view is it's not a
16 question of whether; it's really a question of
17 when.

18 And the interesting thing about
19 the debate that has gone on over the past,
20 say, 12 to 18 months or so has been that
21 there's been relatively little argument about
22 the end requirement, the requirement that we

1 need to bring down carbon emissions by roughly
2 83 percent below 2005 levels by 2050. A lot
3 of argument about the process we use and the
4 milestones and the steps in between, but very
5 little argument about the end objective, what
6 we have to do if we are going to deal with the
7 problem.

8 So there have been some
9 interesting studies done about what this will
10 require of the electric utility industry.
11 Some of the work that I think is very
12 interesting, and I talk about it a bit in the
13 testimony that I will send you, is the work
14 that has been done by the Electric Power
15 Research Institute, the PRISM studies.

16 What they basically say is, if you
17 are going to get to that kind of a reduction
18 in carbon emissions by 2050, you need to do a
19 lot of everything. You need to be aggressive
20 around energy efficiency and demand response,
21 so that you knock electricity demand growth
22 down to below 1 percent per year. You need to

1 build 100,000 megawatts of new renewable
2 generation. You need to build 64,000
3 megawatts of new nuclear, and you need to
4 aggressively move coal to carbon-capture and
5 sequestration, if you are going to achieve
6 those kinds of objectives. And that 64
7 gigawatts of new nuclear is by 2030, 2030, so
8 20 years.

9 And if you think the planning
10 process takes 10 years, then that means that
11 we have got a lot of wood to chop to get to
12 that kind of objective. Can we get there? I
13 think potentially you can, but that is an
14 enormous, all of this together is an enormous
15 financing challenge for the industry.

16 The total cost that EPRI estimates
17 is \$1.5 trillion to \$2 trillion between now
18 and 2030. That is a \$100 billion investment
19 per year. If you look at the run rate that we
20 have seen over the past two years in this
21 industry, that is about the existing run rate.
22 And that, essentially, doubles the capital

1 size of this industry by 2030. That is an
2 enormous financing challenge for this
3 industry. That is really the heart of the
4 problem.

5 Can you build 64 reactors between
6 now and 2030? Potentially you can, but it is
7 going to be expensive and it is going to
8 require a great deal of financing in order to
9 achieve that objective, which is why I think
10 the incentives, at least for the first-movers,
11 are so critical.

12 And the same thing applies for the
13 renewables. The experience we have around
14 renewables is pretty simple. To build that
15 amount of renewables, you need a continuation
16 of the tax support and the tax benefits, and
17 the support in terms of power contracts at
18 very attractive prices from state regulators
19 as well.

20 We just did a large financing for
21 a wind project in California, the first public
22 style capital markets financing for a wind

1 project since the credit crisis, 600
2 megawatts, so a very substantial project.

3 What drove that project was, No.
4 1, California's requirement that the utilities
5 have to provide 20 percent of their
6 electricity from renewables by the end of this
7 year. No. 2, a very attractive power contract
8 at \$112 per kilowatt hour, fixed for 25 years.
9 And No. 3, the cash grant program that,
10 basically, gives the equity owners of that
11 project all of their money back within 60 days
12 of when the project gets built.

13 So you put those elements
14 together, and you can build a very attractive
15 wind project in a very reliable area northeast
16 of Los Angeles.

17 So the project was a great
18 project. It made perfect financial sense.
19 Excellent investment on the part of the equity
20 owners of the project. But it was the very
21 expensive power contract, the strong support
22 from State regulators, and the renewable

1 requirement in California, and it was the tax
2 benefits from the federal government. Those
3 were the elements that make that work. Take
4 those elements away; it's difficult to build
5 new renewable projects in this country as
6 well.

7 So it gets back to my point. If
8 we are going to build these no-carbon or low-
9 carbon alternatives, there's going to have to
10 be financial support to make it work.

11 MEMBER SHARP: Could we ask him
12 to repeat? Could we ask him to repeat that
13 figure on the cost? Did you say per-kilowatt
14 hour or what?

15 MR. ASSELSTINE: Per-megawatt
16 hour. Sorry. A hundred and twelve dollars
17 per megawatt hour.

18 MEMBER SHARP: Per-megawatt hour,
19 okay. So, compared to a new nuclear power
20 plant, what is it?

21 MR. ASSELSTINE: If you look at
22 some of the studies, if you look at NEI, the

1 Nuclear Energy Institute's financial model for
2 a new nuclear plant, a new nuclear plant comes
3 in in that \$70-to-\$90-per-megawatt-hour range,
4 depending upon some of the underlying
5 assumptions and whether it is built by a
6 regulated utility or an unregulated generation
7 company.

8 MEMBER SHARP: So this would
9 actually be more expensive --

10 MR. ASSELSTINE: It would actually
11 be more expensive.

12 MEMBER SHARP: -- if those
13 estimates are right?

14 CHAIR DOMENICI: How does this
15 come in versus other utilities? The consumers
16 there in California, how much in excess of
17 their neighbors, where you don't have this
18 kind of a range?

19 MR. ASSELSTINE: Well, the power
20 will be sold into the utilities. So it will
21 be blended with the power costs from the other
22 sources of generation.

1 And what, in my view, has allowed
2 California to move aggressively on the
3 renewable side is that much of the generation,
4 the existing generation in California, apart
5 from the four nuclear units that are very low-
6 cost generators, are gas-fired generation.
7 And the drop in natural gas prices over the
8 past few years has brought electricity prices
9 down, and it has allowed the State to continue
10 to invest in renewables and other investments
11 that they have been making and still keep the
12 increase in the price of electricity at about
13 the level of inflation.

14 MR. ROTHROCK: Could I add just a
15 little piece to that?

16 So, on the carbon tax and the
17 nuclear, you know, the real problem with
18 burning coal or oil or gas is that we don't
19 capture the total cost. In my prepared
20 remarks that I guess you will get, I did a
21 calculation of how much we have spent on OPEC
22 oil since 2003 and the cost of the war. And

1 it turns out to be \$61 a barrel. We are
2 paying about \$73 today. So that's \$130 true
3 cost for that oil coming out of the Middle
4 East.

5 So the problem is that is the
6 wrong signal. Two summers ago, the price of
7 oil was \$140 a barrel and gasoline went
8 through the roof, and people stopped driving
9 their SUVs. So the pricing signal went to the
10 right place.

11 So a carbon tax, in my view, would
12 put the pricing signal at the right place.
13 And that's why I think it's essential.

14 CHAIR DOMENICI: Let me suggest,
15 sir, you might want to read a little more
16 about this and see if a carbon tax, a CO2 tax,
17 has that much effect on gasoline. It is my
18 impression that a straight CO2 tax, even heavy
19 amount in two stages, most of its effect is in
20 the coal-burning states of America --

21 MR. ROTHROCK: Right, that's
22 right.

1 CHAIR DOMENICI: -- and very
2 little elsewhere, and very little on gasoline
3 products from petroleum, from crude oil.

4 MR. ROTHROCK: Yes, I believe
5 that's true.

6 CHAIR DOMENICI: So it doesn't do
7 what you said.

8 MR. ROTHROCK: Right, but the
9 nuclear and coal, those are competing
10 technologies for --

11 CHAIR DOMENICI: That's why --

12 MR. ROTHROCK: I would just point
13 out that the pricing signal is in the wrong
14 place with oil.

15 CHAIR DOMENICI: That's why we get
16 in trouble with it.

17 MR. ROTHROCK: Yes.

18 CHAIR DOMENICI: Because about
19 eight or ten states -- and I hate to use it --
20 but they have been burned.

21 MEMBER CARNESALE: My
22 understanding is it would take a very high

1 carbon tax, higher than anybody is talking
2 about now. You are not talking about
3 replacing the subsidies by a carbon tax. You
4 are talking about augmenting the subsidies or
5 possibly reducing the subsidies in light of a
6 carbon tax.

7 MR. ROTHROCK: The EPRI study that
8 Mr. Asselstine referred to, the PRISM study,
9 did some sensitivities on that. I don't
10 recall exactly that data. It has been a
11 couple of years since I looked at it. But it
12 is like \$20 and \$40, and stuff like that, yes.

13 CHAIR DOMENICI: Who is next?
14 Yes, you're next. Susan, do you want to go
15 next?

16 MEMBER EISENHOWER: Yes.

17 CHAIR DOMENICI: All right.

18 MEMBER EISENHOWER: Yes. First of
19 all, thank you very much for a terrific
20 presentation. This is all very challenging,
21 and using that word, I think Jim has already
22 used the word "challenging".

1 I was rather knocked out by your
2 observations about how many nuclear power
3 plants need to be built and what the targets
4 are by 2050.

5 This is a financing challenge,
6 very clearly. I was wondering if, for this
7 first question, the panel could say something
8 about what earlier panelists have said, which
9 is that the nuclear industry in this country
10 is perceived to be dead. So we are really not
11 talking about the renaissance. We are talking
12 about a resurrection.

13 And in that context, what impact
14 has, for instance, the termination of the
15 Yucca Mountain project, what impact has that
16 had on Wall Street and among the financial
17 community, No. 1?

18 And some of the very out-of-the-
19 box creative ideas that we have heard today,
20 you know, this would require a general public
21 opinion that the nuclear industry is not dead
22 at the moment, but actually in a forward

1 trajectory to make a creative idea like this
2 happen, I think. What would be the
3 transitional steps in a practical way, and
4 what would you recommend to this Committee or
5 this Commission, as we think about this?

6 I have another quick question
7 after that.

8 MR. ASSELSTINE: Okay. Two
9 points. I think, first, on "is the industry
10 dead?", resurrection versus renaissance, I
11 would say first it is important to keep in
12 mind that we have 104 operating reactors.

13 MEMBER EISENHOWER: Okay.

14 MR. ASSELSTINE: And while we have
15 not built a new one in this country in a good,
16 long period of time, those 104 plants generate
17 almost 20 percent of our electricity, and the
18 operating record for those plants has been
19 consistently strong and steadily improving
20 over the past decade.

21 So, when investors in the
22 financial community look at utilities that own

1 and operate nuclear plants, increasingly,
2 those assets are viewed as a very valuable
3 asset.

4 MEMBER EISENHOWER: Okay.

5 MR. ASSELSTINE: And in fact,
6 there are ways through power uprates to get
7 additional capacity from those plants at very
8 cost-effective prices. And that is viewed as
9 a very low-risk way to add additional nuclear
10 generation to the existing fleet.

11 When investors think about the
12 waste issue -- I'm glad you asked me that
13 question -- they think about it in two
14 contexts. No. 2, the existing plants, and
15 could the uncertainty create a disruption in
16 the ability on the part of the owners of the
17 existing plants to continue to run their
18 plants?

19 I think, first, investors are
20 relatively comfortable that interim spent fuel
21 storage technologies is pretty straightforward
22 and pretty low-risk, whether it's in pools or

1 in casks.

2 No. 2, the NRC has successfully
3 managed its waste confidence determinations.
4 So the risk that the NRC will do something to
5 disrupt the operation of the existing plants
6 is viewed as relatively low-risk as well.

7 But investors talk a lot to the
8 utilities, and they talk a lot to state rate
9 regulators. And investors and those of us in
10 the financial community share the industry's
11 frustration that the federal government has
12 failed to meet its contractual obligations
13 under the Nuclear Waste Policy Act.

14 And I think it is less a matter of
15 cost than it is what investors want to see,
16 which I think is the same thing the industry
17 wants to see. It is the federal government
18 measure up to its responsibilities to take
19 ownership and responsibility for the spent
20 fuel. It was supposed to happen years ago
21 now. It hasn't happened. And that's what
22 they want to see, a manageable and workable

1 plan for both short-term and long-term
2 management of the spent fuel.

3 On the short-term basis, they
4 think the federal government should pay for
5 the incremental costs that the industry is
6 incurring as a result of the government's
7 failure to meet its contractual obligations,
8 and that's happening.

9 But on an intermediate and a
10 longer-term basis, they want to see a workable
11 plan. Now some of the ideas that Jack
12 mentioned are interesting and intriguing and
13 potentially might work.

14 But I will go back to my theme of
15 long-term stability and predictability.
16 That's what investors want to see, and they
17 want to see a relatively straightforward, low-
18 risk path to the federal government carrying
19 out its responsibilities. I think that is
20 probably the preferred alternative.

21 And that probably involves a
22 combination of paying for short-term spent

1 fuel storage, whether it is at the reactor
2 sites or in interim facilities; second, some
3 steps on a nearer-term basis to start to move
4 spent fuel away from the reactors and have the
5 government take responsibility; and, third, a
6 plan that will ultimately lead to a successful
7 manner for handling spent fuel on a long-term
8 basis.

9 MEMBER EISENHOWER: Any other
10 comments?

11 MR. ROTHROCK: Yes, can I just
12 make a comment?

13 First, on the Yucca Mountain, I
14 think it is more important for the public
15 perception that ripples its way back through
16 the markets.

17 MEMBER EISENHOWER: Okay.

18 MR. ROTHROCK: I don't think any
19 decisions we have made or people that I am
20 aware of have made, that that's had much of an
21 impact.

22 But there is a very optimistic

1 trend out there. As I mentioned, I'm on the
2 MIT Visiting Committee for the Nuclear
3 Engineering Department. I'm also very active
4 at Texas A&M, and Per may be able to comment
5 about Berkeley.

6 But there is a huge surge of
7 students pouring into the nuclear engineering
8 departments. Texas A&M's Department was 50
9 when I was there in the seventies. It is now
10 400 today. So there is an interest in and a
11 resurgence of that activity. I think, in the
12 meantime, I think MIT has only tenured one
13 nuclear professor in 16 years, just because of
14 the lack of research dollars and other things
15 going on there.

16 So there is a resurgence, and I
17 think part of the Commission -- and this is a
18 little out of the purview, but I think
19 education and driving it home at that level
20 will finally, these people will become adults,
21 they will become voters, and they will have a
22 voice.

1 MEMBER EISENHOWER: Yes?

2 MR. SPENCER: Just quickly on this
3 issue, I generally deny this notion that the
4 U.S. nuclear industry is dead. I think it is
5 very much alive.

6 Our commercial new plant industry
7 is on life support, but if you look at the 104
8 reactors we have, they have been subjected to
9 the marketplace largely without subsidy for
10 the last couple of decades, and they're the
11 most efficient, least expensive energy-
12 producing machines man has ever created.

13 If you look at what's going on
14 around the industrial base now, you have new
15 manufacturing facilities in Virginia,
16 Louisiana, across the country.

17 The educational growth, you just
18 see it happening.

19 Our small modular reactor research
20 and development that is going on in the
21 private sector, the R&D that is occurring in
22 our National Laboratories, in our federal

1 laboratories, these are a real robust, very
2 much alive nuclear industry.

3 What we need to do is to figure
4 out how to focus it and get it to do all these
5 things we want it to do.

6 MEMBER EISENHOWER: All right. I
7 had one other really quick question, but I
8 think it speaks to a very specific thing.

9 Jim, you had mentioned renewable
10 portfolio standards, and this is one reason
11 you could put together this astonishing
12 project in California, especially when you
13 think it isn't even baseload electrical
14 generation. It may have a lot of wind, but it
15 is still not necessarily baseload.

16 So, from what I understand, most
17 renewable portfolio standards do not include
18 nuclear, though some of them have a little
19 fudge that says carbon-free in some vague way.

20 What would it do to the nuclear
21 industry for that paradigm to be changed,
22 where nuclear energy would actually be

1 regarded as a renewable because renewable in
2 this context really means carbon-free?

3 MR. ASSELSTINE: Yes, I think it
4 would help because it would certainly open up
5 an additional alternative. And it is
6 especially true in certain parts of the
7 country. I mean the Southeast is probably the
8 classic example where existing renewable
9 resources are really pretty limited. So, if
10 you added nuclear in as part of a renewable
11 portfolio standard, it would probably help
12 encourage new nuclear development.

13 There was a fair amount of
14 discussion around this in the Congress this
15 past year, around a federal renewable energy
16 standard, with some consideration given to
17 including nuclear in it.

18 MEMBER EISENHOWER: Thank you very
19 much.

20 CHAIR DOMENICI: Who was next on
21 this side? Dick?

22 MEMBER MESERVE: Thank you, Mr.

1 Chairman. I have two questions.

2 Let me direct the first question
3 at Ray Rothrock. You had indicated that the
4 FDA might be a model for an appropriate
5 regulatory structure and gave the new drug
6 example, the phasing that occurs with a new
7 drug example. I would like to challenge you
8 a little bit on that.

9 The current licensing system at
10 the NRC is phased to some extent in the fact
11 that there are early site permits and
12 certified designs before combined operating
13 licenses, for the opportunity for all of those
14 to occur, at least in principle, before any
15 money has been spent in terms of actually
16 putting stuff on the ground.

17 But, more fundamentally, I am not
18 sure that the phasing at the FDA fits at all.
19 I mean the first phase with the FDA is to find
20 out if the dose information is appropriate,
21 and then the whole series of escalating health
22 studies with small groups at first to see

1 whether there are adverse effects. You don't
2 do the big study at first because you are
3 afraid you will expose a whole lot of people.

4 So the phasing there is just
5 actually part of a process that slows things
6 down because of the fact that you need to go
7 through a whole sequence of analyses. So I am
8 not sure that this phasing concept beyond what
9 we have fits the context in the nuclear
10 industry very well. And I am curious as to
11 what I'm missing.

12 MR. ROTHROCK: I don't believe you
13 are missing a lot, except that, you know, the
14 phasing there starts with basic science. And
15 someone has an idea of how a molecule or a
16 pathway in the body will achieve something.
17 And you're right, they do do safety tests
18 first before they actually do efficacy tests.

19 But, you know, there is sort of a
20 parallelism in the science and to the question
21 of, does it work; will the nuclear reactor
22 actually work? Will it generate power? There

1 may be some other key questions. For example,
2 will it melt down if it lost coolant
3 circulation? There could be lots of
4 fundamental safety questions that could be
5 answered very much upfront in the preliminary
6 design work.

7 The safety question to the
8 pharmaceutical I think applies to the site.
9 Is the site a good site? Is it a relatively
10 safe site? Can the safety things that have to
11 exist to bring that plant online be provided
12 there?

13 And then, finally, the dose. You
14 know, if the drug is going to work, then we
15 have got to know the plant is going to work at
16 a much deeper level. This would be like the
17 real code work, the computer code to validate
18 the experiments, because you can't license a
19 plant unless you can answer a lot of questions
20 about various accident scenarios and transient
21 scenarios, and all those kinds of things.
22 We've got to have computer codes to do that

1 because you can't go out and melt down plants;
2 whereas, with drugs, you can actually go harm
3 some living things, which they do.

4 So there is definitely a staged
5 view, I think, in terms of the rigor, starting
6 with the science, will it work, and then next
7 to the safety, then to the dose, and then
8 maybe, ultimately, the location. I think,
9 actually, the geolocation can have a lot to do
10 with it. I believe it was cited earlier about
11 the transmission lines and those kinds of
12 things which come in.

13 A lot of that could be done
14 separately or at least at a level that could
15 get venture capital to play a role in
16 designing the plant to that next code level.
17 I think it is a five-year cycle to sort of
18 go/no-go. Whereas, in the FDA, if you have
19 got something that doesn't work, you know
20 generally very fast.

21 MEMBER MESERVE: Well, let me
22 suggest that actually in the nuclear process

1 it is not called phases, but, in fact, you do
2 go through a sequence and you do get decisions
3 as you go along. I think creating more
4 hurdles you need to go over probably pushes in
5 the wrong direction.

6 MR. ROTHROCK: Okay. One cultural
7 comment. I did discover in my due diligence
8 in preparing for here that, apparently,
9 because of this demographic crisis that is
10 going on, there is sort of younger engineers
11 and more senior engineers or managers, and
12 that sometimes processes are farmed out to the
13 younger group and they will say this won't
14 work or it can't work or we shouldn't
15 investigate it. And that can stop the whole
16 process.

17 I talked to two people who have
18 lived with that, where something should have
19 risen to a judgment, a management oversight
20 level, that could have kept the process going,
21 but, instead, it brought it to a dead halt.

22 MEMBER MESERVE: That is a

1 challenge when there's a large number of new
2 employees that come in.

3 MR. ROTHROCK: Right. Right.

4 MEMBER MESERVE: I have a
5 different kind of question for Jim Asselstine.

6 You know, the original argument,
7 and the argument that is given by DOE for loan
8 guarantees is that there is a need for the
9 first couple of plants to get financing in
10 place. And then, if those are successful and
11 are built on budget and on time, that then
12 just let the market take care of things
13 thereafter, that it's only a first-mover
14 consequence.

15 And if I understood you correctly,
16 you are contemplating, in fact, we need some
17 kind of a revolving system that will work on
18 in perpetuity to be able to do the financing.
19 That seems to me that is quite a big jump from
20 the philosophy that has guided loan guarantees
21 to date.

22 I guess part of the

1 justification for it might be that the
2 companies, the capitalization, as Ms. Smith-
3 Kervern had pointed out, the capitalization of
4 the companies is small. But there certainly
5 are opportunities as well for joint ventures
6 of various kinds. You know, there are various
7 ways you can work your way around those
8 problems.

9 So let me just make sure I
10 understood you correctly, that you want to
11 move the loan guarantees into a realm that is
12 somewhat different from what has been
13 articulated to date?

14 MR. ASSELSTINE: I will describe
15 need versus want. I think that the stronger
16 need is just what you described, and it is
17 probably more than a couple of plants, but it
18 is the initial group of first-movers, where
19 you would have the uncertainties around what
20 the plants are going to cost, how the
21 regulatory process is going to work.

22 There, I think that the loan

1 guarantee program really provides a very
2 important underpinning for building those
3 plants. It is not absolutely essential for
4 the regulated utilities, I think, because the
5 regulated utility borrows based upon its
6 entire asset base, which includes substantial
7 assets that generate cash flows now. It is
8 possible for a regulated utility to build a
9 new nuclear plant without the loan guarantee,
10 but it is helpful there as well.

11 I think the need, though, is for
12 the first-movers, to get that first group
13 through the process, to demonstrate that the
14 regulatory process is going to work relatively
15 smoothly. It is not going to create big risks
16 and uncertainties after the capital investment
17 in the plant is completed.

18 And then, for some of those
19 plants, if you are operating in an unregulated
20 business model, I would argue it is more than
21 a nice thing. It is probably a necessity.

22 The other alternative that I

1 mentioned is, is there the potential that you
2 could start to recycle this money on a longer-
3 term basis, given the magnitude of the
4 financing challenge? That goes beyond the
5 existing concept for sure. The existing
6 concept is probably the first priority in
7 terms of getting the first-movers going, but
8 I do think there is a potential benefit,
9 especially if the loan guarantee operates as
10 we think it will, where the government really
11 is not taking a lot of risk, doesn't incur any
12 losses. Is there a benefit potentially
13 recycling money, especially, again, perhaps
14 for unregulated generators where the financing
15 challenge is more difficult, where you are
16 trying to finance on a single asset basis?

17 CHAIR DOMENICI: Dick, would you
18 yield for a little clarification?

19 MEMBER MESERVE: Yes, of course.

20 CHAIR DOMENICI: Jim, would you
21 tell us for the record, because I forgot, how
22 much did we guarantee, six plants, for six

1 plants?

2 MR. ASSELSTINE: Well, some of the
3 provisions, the production tax credit and the
4 standby risk insurance were really aimed at
5 six plants. So the production tax credit was
6 6,000 megawatts. The risk insurance was for
7 six units. So those were more specific.

8 The Loan Guarantee Program did not
9 initially have a cap on it, although I think
10 the concept was really get the first plants
11 going and through the process, and then, once
12 that is done, then some of the risks and
13 uncertainties ought to decline. And I think
14 that is correct.

15 CHAIR DOMENICI: Well, I now
16 remember. We had a devil of a time getting
17 everything for as long as we would like.

18 MR. ASSELSTINE: Yes.

19 CHAIR DOMENICI: And the
20 Administration and the Secretary, then-
21 Secretary, came up with this idea of
22 administrative risk.

1 MR. ASSELSTINE: Yes.

2 CHAIR DOMENICI: It's brand-new
3 and nobody has ever seen it, but they thought
4 it was better than French toast. And we said,
5 if you give us a little bit of ours, you can
6 have some of yours. So we got it.

7 I don't know that anybody knows
8 whether that will work or not, the risk
9 insurance, but it is in there for only what?

10 MR. ASSELSTINE: For six units.

11 CHAIR DOMENICI: Six units.

12 MR. ASSELSTINE: That's right,
13 yes. That's right. Yes.

14 The bigger constraint now, I
15 think, around the Loan Guarantee Program is
16 the appropriations restrictions.

17 CHAIR DOMENICI: Yes, which we
18 never intended, but they are holding them to
19 us, right?

20 MEMBER SHARP: Mr. Chairman, I
21 don't have a question.

22 CHAIR DOMENICI: Oh, excuse me.

1 You're next.

2 MEMBER SHARP: I don't have a
3 question, but I do have a comment, because
4 there may be some confusion among us, and
5 there is likely to be confusion among the
6 audience observing this over what our mission
7 is.

8 I think this is very valuable
9 information, and we need to be aware of the
10 context of how new nuclear may or may not
11 develop and in what directions it may go. But
12 my impression is we are unlikely as a
13 Commission, and we have not been asked as a
14 Commission, to determine what are the policy
15 instruments either to advance or to slow up
16 new nuclear power. And I wouldn't want all
17 the observers who we want to hear from
18 engaging in that debate, when I don't believe
19 we plan to engage in that debate on this
20 Commission.

21 I think that the goal is to
22 understand what the impacts might be for how

1 nuclear power develops in terms of how we must
2 try to figure out how to manage the waste
3 result.

4 CHAIR DOMENICI: Is that the
5 extent of your comment?

6 MEMBER SHARP: That's it, Mr.
7 Chairman.

8 CHAIR DOMENICI: Well, we are
9 going to have somebody talk to us about that
10 in terms of the small reactors. Is there no
11 way that we can be the promoters of it because
12 it has a positive impact on the nuclear tail-
13 end of the cycle?

14 MEMBER SHARP: If there are things
15 that we believe affect the result and the
16 consequences of what decisions have to be made
17 about waste, well, that is relevant, of
18 course.

19 CHAIR DOMENICI: Yes.

20 MEMBER SHARP: But I would just
21 suggest that I think we would be wise to keep
22 our general focus --

1 CHAIR DOMENICI: Oh, absolutely.

2 MEMBER SHARP: -- where the charge
3 was, on the nuclear waste. And I think we
4 will be eaten alive in the broader debate, in
5 which we will need a lot more witnesses than
6 this to identify which of these things work
7 well, which of them don't, which subsidy we
8 like, which subsidy we don't like, how far
9 should it go, how many plants should be
10 available.

11 You have already conquered that
12 yourself, but I am not sure the Commission
13 can.

14 CHAIR DOMENICI: Didn't you have a
15 lot of fun doing this this afternoon? Wasn't
16 it fun?

17 (Laughter.)

18 MEMBER SHARP: Absolutely. I have
19 loved that process for years.

20 CHAIR DOMENICI: Along with the
21 drudgery, we've got to get a little bit of
22 chocolate cake.

1 MEMBER CARNESALE: But it is an
2 important point. To the extent that small
3 modular reactors affect the waste problem --

4 CHAIR DOMENICI: Right.

5 MEMBER CARNESALE: -- that is
6 germane.

7 CHAIR DOMENICI: Yes.

8 MEMBER CARNESALE: To the extent
9 that they may be more economical, more
10 popular, might serve more areas, that is not
11 germane, as I understand it.

12 CHAIR DOMENICI: Well, they will
13 affect the waste thing because spread the
14 waste around, you know, little piles.

15 MEMBER CARNESALE: Well, I hope
16 not.

17 (Laughter.)

18 No, but I mean it quite seriously.
19 I think ours is not about first-movers. And
20 I don't understand -- we can talk about that
21 another time -- why that was framed about what
22 we are doing. Our objective is supposed to

1 be, if the nation chooses to pursue more
2 nuclear energy, what needs to be done to make
3 sure that the used fuel or waste, or whatever
4 you want to call it, is handled safely,
5 appropriately, and everything else that goes
6 with it, and to make recommendations along
7 those lines.

8 It is not, how do we make it more
9 difficult for nuclear power plants to be built
10 or how do we make it easier for more nuclear
11 power plants to be built?

12 CHAIR PETERSON: I concur with
13 Commissioner Carnesale. We are charged with
14 looking out into the longer distance at
15 technologies that might significantly affect
16 the management of used fuel, which could
17 include advanced fuel cycle technologies.

18 MEMBER CARNESALE: Yes.

19 CHAIR PETERSON: And in thinking
20 about how those technologies might come into
21 the market, we don't have a base of
22 experience. So I would say that what is

1 happening today provides some lessons about
2 how one might do a better job in the longer-
3 term, but certainly it is outside the scope of
4 our Commission to take any position about the
5 renaissance or not of nuclear energy. That is
6 outside our scope. We are just trying to
7 understand what is happening here.

8 MEMBER SHARP: Yes, and I wouldn't
9 want from my raising the topic to be in any
10 way reducing the importance of this, the value
11 of it, or anything else. I am just concerned
12 that a broader audience that might be,
13 hopefully, watching this on the website and
14 others may think the charge of our Commission
15 is something different than at least what I
16 understand, and I think most Commissioners
17 understand, to be our charge.

18 We are trying to understand the
19 context in which we are going to have to make
20 decisions on waste.

21 CHAIR DOMENICI: What is the
22 charge again?

1 MEMBER SHARP: It is about how to
2 manage the nuclear waste or the spent fuel in
3 this country.

4 CHAIR DOMENICI: All right. I
5 think whether or not small reactors are part
6 of the mix, or not, has some very significant
7 role or plays a significant role on how the
8 waste --

9 MEMBER SHARP: Well, that may be,
10 and I am willing to entertain that idea. I
11 just --

12 CHAIR DOMENICI: The small one
13 that is talked about here, that they showed
14 the picture of, it produces the same waste as
15 the big ones, but it produces them at
16 different places, wherever they are located.

17 And clearly, what is provided in
18 the NRC and others about the waste is not
19 going to be proper for the small ones, it is
20 not going to be the same as we have in there
21 for the regular ones. So, unless someone can
22 tie them in, I don't know what we can say

1 beyond the technology that --

2 MEMBER SHARP: Well, Mr. Chairman,
3 that is why I asked the question in the
4 previous panel about whether they saw there
5 was any qualitative difference to what the
6 requirements would be, either for storage, for
7 disposal, or for transportation, if we went to
8 at least two of the versions of the small
9 nuclear. And the answer, at least in the
10 earlier panel, was, no, there would not be,
11 but --

12 CHAIR DOMENICI: But one of them
13 said --

14 MEMBER SHARP: The light water,
15 the two light water reactors; now the high-
16 temperature gas reactor may well be
17 different --

18 CHAIR DOMENICI: Right.

19 MEMBER SHARP: -- and it is also a
20 different timeframe.

21 DR. KELLY: It is really a
22 function of the uranium re-utilization. And

1 I think we heard that earlier today.

2 So the light waters are expected
3 to have about the same as current generation
4 light water reactors, but the other
5 technologies, the gas-cooled or the thorium-
6 based fuels, these types of things can get you
7 significant --

8 MEMBER CARNESALE: Whether they
9 are large or small --

10 DR. KELLY: Yes, exactly.

11 MEMBER SHARP: And that is very
12 relevant to us. I don't mean to suggest that
13 I don't think that's relevant. I do.

14 CHAIR DOMENICI: Okay, we are
15 finished for the day here.

16 I don't want to talk about the
17 small reactors anymore. I had a fun afternoon
18 until you raised this subject.

19 (Laughter.)

20 And you became so blunt and
21 difficult that, as Chairman, I'm declaring
22 that this meeting is over.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22

(Laughter.)

MEMBER SHARP: I want to be sure
you understand I like small reactors. Okay?

CHAIR DOMENICI: But it was over
anyway. And I haven't given up. I don't
think you're correct yet.

Thank you.

(Whereupon, at 3:32 p.m., the
above-entitled matter went off the record.)

A				
abandoned 208:10	accelerated 343:16	378:20	actions 7:16 12:18	21:14 32:4 38:6
ability 54:1 71:3	accelerating	achieve 38:1 40:1	23:14 50:13,21	40:7 50:6 51:1
80:15 84:7 85:21	231:19	64:16 67:12 70:15	166:18 287:11	61:4 104:14
250:21 306:11	acceleration 307:1	80:15,22 82:18	335:17	106:19 120:15
338:6 340:1	accept 124:17	108:1 117:16	active 290:8 397:3	147:3 168:20,22
354:20,22 393:16	211:4 213:1 335:2	119:4,16 131:9	actively 100:5	169:6,13,19 172:2
able 85:1,11,22	acceptability 37:11	132:7 133:7,19	145:20 190:21	177:19,20 178:2
87:14 89:14	42:20	144:13 194:22	activities 12:3	187:15 189:14
119:16 120:22	acceptable 29:10	220:3 227:4	191:10 253:2	191:11 220:18
125:6 129:18	40:15,17 42:5,13	247:14 340:5	255:13,17 322:10	221:6,8 223:18
132:7 138:14	42:14 59:11 84:21	382:5 383:9	activity 81:17 84:4	228:22 229:19
144:1,4 152:7	104:21 112:6	402:16	84:5 93:7 310:22	242:5 256:20
163:2,3 168:14	164:18 188:4	achieved 219:8	357:16,18 397:11	263:14 276:2
171:1 177:21	252:4	300:12	actual 14:5 76:21	287:13 292:17
228:3 241:15	acceptance 24:10	achieves 172:7	118:13 328:2	293:16 294:4
257:14 262:18	112:2 124:18	achieving 65:3	Act's 376:16	310:6 311:13
263:1 275:14,19	135:14 189:7	80:14,17 296:17	Ad 40:7	315:22 316:9
276:4 283:19	190:13 316:9	306:17	adapts 45:7	318:21 360:15
284:12 291:18	accepted 189:16	acknowledge	add 30:18 97:10	361:4
354:14,15 370:16	195:8	351:18	152:16 181:1	addressed 21:17
397:4 406:18	accepts 84:2 211:8	acknowledges	225:2 227:8 235:4	44:19 72:3 111:12
abolish 353:17	access 104:5	192:10	249:16 336:19	169:3 171:21
above-entitled	275:10	acquisition 48:18	387:14 393:9	228:21 243:4
165:7 286:13	accident 10:22	across-the 109:8	added 15:11 30:22	293:20 310:8
421:9	102:22 156:5	act 43:2 90:3	34:17 75:19 76:7	311:11,19 316:5
above-ground	157:12,13 314:12	213:13 218:17	180:10 400:10	addresses 275:8
121:3	403:20	271:9 288:17	adding 30:17 94:6	315:20
abscissa 176:14	accommodate 62:9	293:22 297:8	94:21 245:18	addressing 27:16
absolute 223:11	188:9	305:22 306:6,9	addition 77:14	185:18 251:9
303:1	accommodation	313:9 333:22	85:17 105:3,12	256:21 309:4
absolutely 84:18	191:14	340:12 341:11	118:17 171:13	317:2 361:22
86:16 108:22	accompanying	342:1 343:9	174:9 227:5	369:19
151:13 260:11	70:21	346:13 349:12	296:12 298:9	adds 303:10
267:17 333:8	accomplish 81:16	394:13	330:18 346:9	adequate 39:17
362:8 369:11	accomplishments	actinide 68:9,17	additional 11:8	81:19
408:3 414:1,18	26:17	69:6,8,17 70:16	30:18,22 46:8	adequately 19:5
absorb 144:1,5	account 142:13	71:3 131:21 132:1	65:22 108:9 109:3	ADF 163:9
abundance 161:1	143:5 263:21	197:12	120:5 121:18	Adjournment 5:25
abundant 174:14	283:3	actinides 16:15	153:11 180:17	administering
abysmal 369:11	accountable 326:12	38:16 65:1,14	183:19 206:20	303:21
AC 240:7	accredited 184:19	68:14 79:13,19	236:3 243:10	Administration
academia 267:9	accumulated	90:22 125:18	297:20 311:13	410:20
309:17	143:16 144:3,7	128:21 129:1	330:2 342:11,13	Administrations
Academy 68:7	accumulation	132:3,10,12,21	365:8 366:10	92:9 128:13
accelerate 191:7	20:15	143:1 206:14	373:11 374:4	Administration's
306:22 343:14	accurate 347:8,16	action 45:10 164:7	393:7,9 400:5	288:22 318:19
	accurately 118:21	326:17 358:18	address 9:20 17:21	administrative

410:22	68:17	355:11	allowing 80:1	318:22 321:9,20
admit 123:2 158:18	advocating 60:10	agreement 150:8	142:9 301:8	331:3
ado 6:7	AEC 202:10 326:19	375:9	allows 16:4 198:10	americium 77:11
adopt 31:14 177:17	Aerial 52:19	agreements 59:1	199:11 229:19	77:15 132:21
231:20	affairs 34:19	agrees 152:11	292:7	133:8,9
adopted 31:4 190:5	affect 10:14 76:11	ahead 19:20 47:6	alloy 29:9	ammonia 199:16
305:19	259:15 413:15	63:2,10 82:6 87:1	alluded 81:7	amount 17:14
adopters 224:16	415:3,13 416:15	88:20 89:9 216:4	alongside 219:18	103:21 116:16
adopting 232:2	affirmatively 24:11	288:12 304:12	Alpha 320:7	173:10 176:6
251:22	afford 157:2	370:2	alter 45:13	240:10 276:2
adoption 186:22	275:15,19	Aim 193:10	alternate 60:9 61:9	353:5,6 362:9,20
191:11 192:22	affordable 185:19	aimed 410:4	133:13 303:8	383:15 388:19
223:7	199:19	air 198:14	alternately 244:3	400:13
adults 397:20	afforded 306:5	aircraft 10:20	alternates 50:8	amounts 38:16
advance 190:6	afraid 402:3	100:15 195:21	alternative 52:16	182:5 314:4
412:15	Africa 208:16	198:16	57:4 195:12	339:17
advanced 15:10,14	afternoon 213:10	air-cooled 187:14	210:10 215:19	amplify 232:10
28:8 30:5 31:5,20	213:14 286:2	AI 90:8 270:2	221:4 273:4 329:7	279:14
40:22 52:6 53:12	318:15 414:15	278:13 282:2	395:20 400:5	analogous 101:3
53:13 54:9 57:22	420:17	Alan 2:2,5 3:12,19	408:22	367:2,20
59:17 76:6 77:10	age 94:9 116:6	8:8,17 12:7 47:18	alternatively 365:3	analogy 263:7
112:9 123:14	agencies 322:9,15	111:22 112:8	alternatives 7:13	356:18
172:8 187:8 190:4	322:21,22 323:3	113:1,1,4,5,5	9:21 12:16 72:4	analyses 202:11
200:1,7 207:11	325:15	132:16 205:16	166:14 210:20	402:7
261:19 296:19	agency 70:5 81:15	Alans 113:2	211:11 219:10	analysis 17:1
297:21 300:16	325:20,21 326:3	alarm 246:1	338:10 344:11,20	116:21 180:5
380:6 416:17	326:17 329:1	albeit 13:7	385:9	279:17
advancement	330:15 331:7	ALBERT 1:19	Alvin 196:2 202:19	analyst 212:19
258:20	agenda 9:18 178:18	align 349:8	ALWR 5:5	and/or 287:20
advances 189:1	aggressive 381:19	aligned 232:4	Al's 99:19 106:20	Angeles 384:16
advancing 323:6	aggressively 19:20	alive 277:20 278:1	112:1	Anna 295:19
advantage 146:19	382:4 387:2	398:5 399:2 414:4	ambitious 357:9	announcing 372:15
192:7 195:10	ago 19:15 38:5	alliance 26:10,20	America 156:8	annual 55:19
231:4 236:19	87:17 113:9 155:3	allies 28:15	184:15 215:9,11	240:10 289:8,16
237:21 243:19	168:16 179:6	Allison 1:21 109:21	284:9 330:17	ANS 5:12 308:14
262:11,15 306:3	185:6 252:9 281:7	111:17 117:20	331:4 350:17	309:14,18 310:22
advantages 23:3	308:22 312:20	142:21 233:10,11	371:13 376:3	316:20 318:1
51:22 171:7	320:12 322:1	368:11 376:6	388:20	answer 21:4 25:3
191:17 236:20	333:12,14 373:7	Allison's 278:8	American 2:19	50:18 93:8,10
237:2 277:17	388:6 394:20	allocates 323:19	35:4,19 157:22	111:16 122:20
adverse 402:1	agree 86:7,16 89:3	allow 37:1 163:9	184:18 192:2	123:13 135:20
advice 218:15	89:13 98:6 107:12	199:20 263:22	247:19 248:13,17	143:9 147:14
266:4,6	121:14 139:7,18	269:1 350:15	249:6,12 307:16	154:21 158:13
advisedly 53:14	147:12 150:12,19	355:6	308:1 376:3	159:3 233:22
advocate 308:15	151:5 152:10	allowed 241:12	Americans 371:22	242:6 257:22
323:3 367:13	153:8 205:15	347:21 367:1	America's 1:1 6:6	258:1 259:19
advocates 42:22	227:20 349:15,18	387:1,9	25:18 250:8	261:8,9 263:10

318:10 357:18 363:8 403:19 419:9 answered 403:5 answering 141:4 answers 3:25 4:23 5:23 161:14 168:12 ante 304:17 anticipated 301:20 anticipation 217:16 anti-nuclear 63:12 anxious 375:19 anybody 73:22 82:15 94:1 98:4 390:1 411:7 anymore 175:13 269:14 420:17 anytime 114:2 anyway 237:5 368:20 421:5 apart 101:18 115:1 387:4 apologies 201:6 apologize 123:10 282:2 285:21 286:7 332:4 apparently 347:13 405:8 appealing 191:17 appear 99:10 appearance 7:7 appears 88:18 336:13 applaud 110:6 323:16 applicability 204:9 309:9 applicable 256:3 371:18 applicant 312:8 application 38:4 49:11 171:15 189:1 242:7,11 246:6 276:16 310:17,18 312:11 applications	244:19 275:13 296:1 297:4 301:15 306:3 315:2,5 341:14 applied 102:1 applies 98:22 383:12 403:8 apply 224:11 336:7 370:22 371:1 appreciate 6:16 88:15 124:14 137:4 141:18 183:16 193:7 345:11 370:20 appreciative 304:2 approach 13:3 15:1 37:10 40:12 51:8 56:8,19 58:14 60:4,11 70:14 72:9 106:11,17 130:3 181:15 186:13 187:3 193:4 224:22 230:12 252:2 260:21 276:7 279:18 301:4 305:6 308:21 309:7 312:19 314:9 approached 205:5 approaches 15:9 58:18,19 185:15 appropriate 55:1 55:16 67:3,11 107:15 108:2,7 110:22 221:12 401:4,20 appropriately 416:5 appropriation 369:17 appropriations 55:19 369:15 411:16 approval 342:3 approvals 364:15 approximately	13:14 18:5 35:21 75:22 185:4 199:1 211:11,15 224:4 April 300:7 AP1000 33:21 34:8 101:2 103:3 105:2 105:11 179:4 198:1 296:3,10 300:16 301:19 AP600 179:4 aqueous 13:12 15:14 54:8,9,18 116:22 117:14 118:19 162:13 207:11 209:14 arbitrary 376:17 Archimedes 175:4 area 26:8 106:9 147:17 225:16 247:4 315:8 317:19 384:15 areas 11:8 12:15 41:7 150:7 245:6 248:20 249:13 260:22 276:5 277:9 303:16 415:10 arena 248:6 305:9 AREVA 2:2 3:11 8:10 12:9 13:2,8 22:18 28:6,11 71:15 Argentina 208:17 Argonne 234:11 235:18 Arguably 241:7 argue 18:2 22:19 27:17 201:13 222:19 226:9 244:11 248:2 249:5 250:17 378:22 408:20 argument 89:13 204:12 220:4 225:17,18 270:8 363:9 377:16 380:21 381:3,5	406:6,7 arguments 228:12 228:13 arises 270:15 Armenia 208:14 arrange 111:5 335:11 arrangements 111:3 342:21 arrangers 332:16 array 34:13 arrived 221:20 art 133:17 articulated 407:13 aside 71:11 asked 7:7,9 50:5 166:10 181:17 287:9 318:14 343:8 393:12 412:13 419:3 asking 134:13 135:22 260:8 264:7 271:5 272:8 aspect 53:10 aspects 36:6 55:14 61:11 292:19 assay 264:21 Asselstine 2:21 5:19 332:1,2 333:2,8,13,17,21 334:6,14 362:5 372:22 373:5 380:13 385:15,21 386:10,19 390:8 392:8,14 393:5 400:3 406:5 407:14 410:2,18 411:1,10,12 assembled 170:15 170:17 173:1 316:14 328:3 assemblies 14:10 114:19,22 164:1 assembling 34:6 assembly 114:20 assess 241:15 assessing 343:2	assessment 132:11 140:16 205:17 asset 157:15 393:3 408:6 409:16 assets 205:9 253:19 299:13 335:8,9 363:20 393:2 408:7 assist 80:14,17 327:18 assistance 108:8 205:11 assistant 101:17 assisting 300:14 Associate 3:24 4:21 9:2 73:15 associated 9:15 10:13 15:16 64:4 64:8,18 65:20 66:7,20 99:20,22 106:22 111:9 118:3 121:10,21 177:10 190:10 212:10 217:5 223:10 256:22 272:2,10 310:6,19 313:18 343:20 378:13 Associates 3:23 9:3 73:16 Association 27:8 320:4 assume 112:22 236:7 238:22 261:12 356:1 assumed 211:3,4 assumption 36:13 115:18 359:3 assumptions 210:22 211:10,14 386:5 assure 24:10 assured 44:7 assuring 44:2 astonishing 399:11 astray 282:3 atmospheric 196:3
--	--	---	---	--

atomic 202:20 249:18 313:9	avoid 200:11,13 227:7	37:3,13 38:4,20 40:12 130:1 202:5	231:15,16 274:9 274:11 284:8	113:12 148:2 160:20 171:22
Atomics 2:6 4:5 167:12,19 168:21 175:2	avoids 289:8	268:6 348:17 349:3 357:14	289:3 399:13,15	186:22 187:9 190:20 205:8
attached 78:4	award 301:12	bad 117:13 312:4 327:17	bases 368:1	206:12 210:4 214:6 222:15
attempting 74:17	aware 168:16 396:20 412:9	bad-actor 40:1	basic 35:15 237:16 253:12,12 254:22 355:13 402:14	223:5,19 224:16 231:22 232:8
attempts 110:17	A&M 320:9 397:4	balance 60:13 174:11 208:8	basically 137:12,13 215:14 237:14	239:11 243:4 244:20 251:15
attention 146:8 147:4 215:21 260:12	A&M's 397:8	234:22 235:5,12 344:19	260:12 276:19 310:4,14 314:2 315:12 381:16 384:10	253:9 270:16,21 273:15 280:9 283:15 301:3
attitude 140:5	A-F-T-E-R-N-O-... 287:1	ball 305:1 379:19	basing 257:11	321:20 325:13 346:3 350:21
attract 172:1	a-kind 220:9	Ballrooms 1:14	basis 69:15 72:12 107:18 114:16	389:4 402:12 404:10 412:18 413:15
attractive 18:8,12 19:6 20:5 73:3,5 92:17 93:11,18,20 182:11 221:14 265:14 273:6 383:18 384:7,14	a-year 238:3	bank 292:16	115:2 226:14 240:10 250:6 277:11 281:17 282:8 289:8 308:11 329:19 332:22 395:3,10 396:3,8 409:3,16	believes 86:12 94:1 249:6
attractiveness 182:1	a.m 1:14 6:2 165:8 165:9	bankrupt 370:10	Bathke 73:7	Benedictus 101:13
at-reactor 57:16	B	Bar 298:10	beat 133:18	beneficial 66:20 85:4 87:18 222:9 288:6 341:3
audience 210:4 215:21 412:6 417:12	Babcock 2:8 4:11 183:21	Barclays 2:21 5:18 331:22 332:15	beep 73:10	beneficially 51:15
augmenting 390:4	back 14:12 36:17 38:1 68:6 74:9 79:14 80:18 95:18 101:4 104:11,20 112:1,12 123:16 128:5 130:2 132:15 134:10 162:21 165:20 196:15 203:20 231:2 240:1 248:18 249:17 260:20 266:3 271:7 274:7 281:7 282:11 284:14 291:13 294:8 316:16 384:11 385:7 395:14 396:15	bargain 334:22	began 34:5 185:6 291:12	benefit 34:17 64:17 66:11 121:15 127:20 148:2 149:4 152:19 198:19 199:6 328:14 343:11 344:22 409:8,12
AUGUST 1:12	backbone 41:22	barge 251:2	beginning 157:16 255:21 292:3	benefits 11:10 15:16 34:13 52:10 53:18 59:6 153:10 153:15 192:8 260:21 308:8,13 365:4 383:16 385:2
author 206:9	backed 75:1 321:5	barrel 156:19 388:1,7	begins 37:10	benefitted 14:17
authorities 11:3	background 104:16 183:21 209:18 300:6 319:5 321:16	barrels 173:12 274:13,17 322:11	begun 298:7 324:6	Berkeley 397:5
authority 31:15 85:20 268:5 280:1 297:18 298:1,9 342:13	backlog 21:15	barrier 103:15 274:13,17 322:11	behalf 32:21 46:12 307:22	beryllium 197:2
Authority's 85:21	backward 149:10	barriers 120:5 180:10 287:14 298:14 335:17	behave 102:16,20	best 50:20 58:18,18 85:11 88:6 186:1 210:15 286:9 313:11 357:4,17
automobiles 102:1	backwards 148:12	base 180:17 227:10 275:9 277:3,14 306:12 313:16 371:15 398:14 408:6 416:21	Belgium 208:12	bestowed 123:3
availability 51:12 103:20 332:21 334:18	back-end 27:20 31:17 36:13 37:2	based 35:16 43:9 52:6 58:11 71:18 97:20 104:2 126:13 137:15 140:17 143:20,21 144:12 179:21 188:15 203:10 257:4 261:2 294:11 314:22 315:2 328:4 329:14 408:5 420:6	belief 226:10	
available 21:13 29:18 38:11 45:19 51:13 53:14 61:7 115:9 120:19 183:10 200:17 251:14 274:12 292:12 338:9 344:20 363:18 371:4 414:10		baseload 39:19 43:18 85:2 225:21	believe 18:15 19:5 27:20 28:7,20 31:3 37:4,9 45:12 50:19 54:15 55:6 56:6,14,19 63:16 64:16 66:19 67:2 67:10 69:21 87:15 89:10,18 92:15,18 107:22 110:22	

bet 265:12 337:9 372:13	117:12 150:5 155:13,20 209:17	bowl 374:21	313:13 324:1	180:10,15,22
better 7:1,3 23:14 47:9 54:12 100:21	222:16 240:17	box 391:19	broaden 275:9	188:20 220:2
107:9,15 109:12	248:5 282:3	Boy 267:10	broader 9:14	231:16 236:13
118:9 156:6	285:22 302:11,21	brag 334:12	171:11 186:22	243:10 245:18
157:14 189:22	303:6 311:20,21	brain 43:6	223:6 414:4	275:1 277:21
271:4 360:9 373:1	327:6 336:14	brand-new 411:2	417:12	289:20 299:13
411:4 417:2	349:12,12 357:9	Brazil 208:16	broadly 355:2	337:8,18 338:8
beyond 85:5	372:20 373:15	break 56:19 141:5	broad-based	408:2
129:20 201:20	380:11 381:12	165:4,6 284:4	309:18	buildings 30:8,16
402:8 409:4 419:1	401:8 411:5	breakdown 235:5	broke 101:18	buildout 358:22
biases 209:18	414:21	breakthrough	155:12 156:22	builds 189:17
bifurcation 230:12	blanket 196:12,15	33:21	brought 44:17 75:2	335:8
big 96:21 97:11	blended 14:10	breeder 41:6 77:21	76:1 77:2 102:3	buildup 77:4
163:19 226:11	386:21	123:17 128:22	309:2 387:8	142:22
237:4 270:17	Blue 1:1 6:5 32:2	200:4 202:22	405:21	built 108:10 170:14
275:19 307:5,5	33:11 188:3	240:6,8	BTU 156:20	179:11 195:22
327:1 350:19	268:22 318:20	breed-and-burn	budget 24:18 200:7	216:22 219:6
370:11 374:16,21	blunt 420:20	119:6	210:16 299:16	225:5 233:17,19
376:22 379:6	BNFL 48:21	BRENT 1:22	314:17 323:19	235:6 239:1
402:2 406:19	board 3:15 8:12	bridge 58:5	342:15 406:11	242:17 243:15
408:15 418:15	25:10 108:3 109:9	bridging 59:13	build 20:1 44:13	258:17 279:19
bigger 220:2,2	268:19	brief 11:21 378:20	57:10 60:16,20	280:19 283:5
281:18 411:14	Boards 320:3	briefly 12:20 131:7	70:19 131:14	284:10 290:22
biggest 268:21	Boat 262:14	141:9 323:10	148:1 158:3	319:19 372:16
bill 220:8 238:3	Bob 193:8	335:20 340:17	180:14 201:13	384:12 386:5
344:6 369:7 371:5	body 324:16	bright 329:9	204:22 217:8	391:3 392:15
billed 329:19	402:16	bring 10:15 27:10	218:13 220:8	406:11 416:9,11
billion 74:17,18	Boeing 198:16	52:9 53:18 54:13	223:13 226:11,13	Bulgaria 208:13
75:4 79:4 99:4	boil 28:2	99:18 100:2,20	235:1 236:13	bulk 54:19 116:20
193:14 199:2	boiling 26:21 35:22	106:17 107:11	237:15 240:7,13	117:22 300:21
200:3,10 205:20	296:8	217:17 218:13	242:9 244:3,4,6	bunch 227:1
219:3 244:8	bombers 195:18	237:17 272:15	249:2,3,20 262:14	bundle 128:5
253:20 254:2	196:1	279:12 297:20	268:15 271:17,19	burden 15:18
268:16,20 297:19	Book 193:19	316:19 324:18	279:20 283:8	70:18 132:4
297:20,21,22	bookends 242:10	328:21 340:1	287:21 291:12	152:18 206:14
324:1 336:18,22	boon 145:7	350:16 381:1	292:10,11 293:1	330:2 355:5
337:5,7,8,13,14	born 149:5	403:11	296:15,19 319:20	burdens 70:12
342:8,8,13,16	born 149:5	bringing 103:12	336:22 338:2	bureaucrats 349:6
382:18	borrowing 297:17	107:14 327:18	344:15 347:22	burgeoning 350:15
billions 144:19	borrow 408:5	brings 148:2	350:12 353:1	burn 77:12,18,19
binding 59:1,3	bother 372:20	325:17 328:14	354:15 358:20	98:2 123:18 129:1
birth 193:18 194:2	bothered 161:6	Britain 19:17	359:3 366:5 382:1	151:2 163:5,10
194:6 199:21	bottom 76:3 179:18	British 48:20 278:9	382:2 383:5,14	172:11 195:5
bit 48:7 90:11	210:9	285:7	384:14 385:4,8	burned 90:16
103:11 113:10	bought 375:17	brittle 102:9	408:8	160:18 389:20
	bound 292:21	broad 12:15 34:13	building 94:1 96:11	burning 18:4 30:12
	bounded 339:19	303:16 311:3	106:20 113:22	77:16 94:5 122:14

133:9 195:11 206:14 387:18 burns 170:4 173:2 174:13 bury 114:21 115:5 136:7,9 214:9 burying 148:15 business 26:19 43:13 123:4 184:2 194:20 202:9 205:18 219:12 221:18 315:12,15 315:20 320:10 322:2 323:21 347:22 366:17 408:20 businessman 96:7 buy 227:2 269:14 269:14 280:19 374:15,17,18 buyer 368:4 buys 34:16 B&W 183:13 184:5 184:9 185:6 187:6 187:13,20 188:5 188:17 189:20 223:1 229:16 232:7 244:4 245:15 259:18 279:20	54:12 55:11 141:12,13 156:9 156:17 170:6 175:4 176:3 242:12 309:12 325:20 405:1 calling 315:17 Calvert 298:8 Cambridge 184:17 camp 145:8 Canada 184:17 208:16 Canadians 285:6 cancelling 266:9 CANDU 146:17 CANDUs 146:22 canisters 126:7 cap 220:21 221:1 380:5 410:9 capabilities 40:19 capability 41:14 366:15 capable 11:3 59:16 125:7 162:9 184:19 188:1 251:1 254:5 capacity 30:17,19 36:3 44:14 94:10 103:20 112:20 181:2 185:13 187:16 197:3 198:9 280:5 342:7 393:7 capita 193:20 194:8,21 capital 2:20,21 5:15,18 23:7 30:15 44:2 185:11 197:16 201:14 202:12,16 206:3 211:1 212:21 223:4,14,20 224:18 226:9 285:12 291:17 318:12 319:9 320:4,13,21 321:2 321:5,9,18,22	324:5 325:8 327:7 327:14 328:6,13 331:22 332:15 334:16 336:13 339:17 340:2 362:14,19 365:17 382:22 383:22 404:15 408:16 capitalist 329:3,4 370:15 capitalists 156:15 329:12 330:22 capitalization 223:16 290:5,7 337:5,7,12,16 359:22 407:2,3 capital's 320:14 capital-intensive 332:19 caps 362:8 capture 78:9 246:21 263:1 339:1 387:19 capturing 247:6 cap-and-trade 195:7 217:2 carbon 93:18,21,22 95:11 97:6 187:1 195:7 199:14 200:11 217:1,2,4 218:1 220:12,18 220:19,20 221:6 224:12 225:20,22 246:21 247:7 274:9 289:9,17 302:15 329:1,5 330:19 331:10 339:1 344:11 380:5,14 381:1,18 385:9 387:16 388:11,16 390:1,3 390:6 carbon-based 95:6 carbon-capture 382:4 carbon-free 33:8 40:18 43:18	399:19 400:2 care 73:22 115:1 267:14 283:1 346:22 347:19,20 406:12 career 113:8 319:15 careful 96:16 99:9 carefully 53:13 130:10 190:5 cares 347:19 caretakers 323:1 cargo 366:15,20 Carlsbad 358:17 Carnesale 1:19 77:3 90:10 91:2,6 91:11,17,20,22 92:3 93:1,9 94:14 94:18,21 95:4,8 96:3,9,19 98:6,19 99:6 270:6 272:12 272:17,21 273:2,9 273:13 274:1,5 276:9 278:5,16 389:21 415:1,5,8 415:15 416:13,18 420:8 Carolina 26:13 carried 115:10 carry 20:20 132:5 314:5 370:16 carrying 369:8,10 378:2 395:18 Carter 92:8 case 26:6 48:20 106:13 121:20 136:8 140:16 147:20 205:1 227:8,22 228:10 244:4 276:11 289:22 cases 22:2 90:5 314:8 cash 384:9 408:7 cask 181:13 casks 151:11 158:5 394:1	catastrophic 22:5 314:3 catch 356:5 categories 313:13 cause 246:1 caused 366:19 caution 21:5,21 22:20 caveat 142:8 Cazaubon 2:17 5:10 298:21,22,22 299:2,4,6 cease 79:20 ceases 214:2 cede 283:12 cell 207:10 cells 120:6 center 30:7,22 31:5 197:18 198:1 centers 30:6 61:13 87:2 centigrade 172:11 central 196:9 269:9 centralized 59:13 214:15 centuries 151:12 151:19 222:16 century 101:5 102:2 CEO 4:9 178:21 ceramic 29:9 certain 95:12 108:20 211:10 213:12 313:17,17 314:7 400:6 certainly 18:11 28:12 47:9 49:8 82:7 121:5 150:19 195:9 203:22 204:22 205:11 221:1,19 222:19 222:19 224:11 293:9 308:14 314:18 323:4,6 334:15 339:19 350:3 400:4 407:4 417:3
C				
cake 414:22 calculation 253:17 387:21 calculations 71:17 calculus 153:16 California 320:8 383:21 385:1 386:16 387:2,4 399:12 California's 384:4 call 3:2 28:3 30:13 51:6 101:6 127:4 150:8 227:2 326:17 416:4 called 7:5 13:15				

certainty 35:12 83:9 95:17 223:10 232:19,21 279:17	232:6 233:7 240:15 246:8 259:2 269:17 278:13,19 279:2 282:1 283:17 284:13 285:18 287:4 293:7 298:17 299:2,5 307:13 317:8,11 317:12,15,20 318:2,8 331:19 333:1,3,11,15,19 334:1,11 345:3,10 355:21 356:8 359:9,16 365:7,15 366:9 368:8,18 374:9 386:14 388:14 389:1,6,11 389:15,18 390:13 390:17 400:20 409:17,20 410:15 410:19 411:2,11 411:17,22 413:4,8 413:19 414:1,14 414:20 415:4,7,12 416:12,19 417:21 418:4,12 419:12 419:18 420:14 421:4	383:2 391:5 401:7 406:1 409:4,15 challenges 61:2 85:12 104:14 119:14 171:21 172:1 177:9 178:3 184:4 185:18 224:19 302:2,3,19 challenging 113:18 114:5,6 118:18 136:12,14 150:14 154:11 390:20,22 chance 322:13 355:19 371:13 change 37:4 55:7 63:16 78:14 82:10 185:8 189:14 225:9 232:4 246:22 263:2,3 288:22 308:13 325:11 344:5 350:16 changed 39:7 93:14 226:15 281:14,21 354:4 399:21 changes 39:18 51:20,22 190:17 230:18,19 240:22 243:22 244:13,15 313:2,5 372:9 changing 308:9 330:12 chapter 210:5 character 263:18 characteristic 65:7 71:13 characteristics 64:18 69:5 70:6 119:17 126:5 130:18 characterizations 264:9 characterize 253:16 characterizing 377:7 charge 317:8 414:2	417:14,17,22 charged 300:14 416:13 charge-backs 329:2,17 330:20 Charles 73:7 chart 24:4 328:2,2 charter 168:17 323:22 cheap 158:19 215:15,17 cheaper 94:2 97:16 195:13 197:15 cheated 368:11 check 87:19 200:12 chemical 52:6 156:22 197:5 276:17 367:7 chemicals 75:19 76:6 chemistry 162:14 Chicago 234:11 Chicago-Argonne 210:1 chief 3:17 8:15 32:13 87:9 children 149:12 151:9 153:3 193:21 194:2 China 19:19 89:4 98:4 208:6 Chinese 105:7 chocolate 414:22 choice 28:15 choices 194:12 264:12 chooses 89:20 416:1 choosing 153:17 chop 382:11 chose 90:3 218:16 292:20 chosen 143:14 Chris 165:13 178:13 222:12 229:7 280:15 282:5	Christofer 4:12 Christopher 2:8 183:13 255:19 Chu 33:7 323:12 chunk 377:6 Chu's 318:20 CIA 193:19 194:15 circle 195:18 circulated 6:18 circulation 179:5 179:20,22 403:3 circumstances 23:9 cited 369:1 404:10 cities 202:20 civil 144:17 237:15 Civilian 353:18 civilization 193:12 cladding 39:4 Claiborne 79:15 claim 68:18 135:2 257:13 claims 159:21 clarification 409:18 clarify 89:1 96:17 138:17 clarity 255:10 class 26:14 275:1 classic 79:14 400:8 clean 26:4 77:13 289:3 331:10 338:22 cleaned 101:16 cleanup 41:9 74:19 clear 44:6 99:7 106:4 109:8 158:8 219:14 311:15 324:11 372:19 clearly 84:2 99:7 100:14 104:18 138:20 139:1,7,17 159:18 217:9 225:17,18 259:19 261:8 342:12 359:18 370:8 391:6 418:17 Cliffs 298:8
---	--	--	--	--

climate 63:15 185:8 189:14 232:4 246:22 275:8 276:2 288:22 308:13 344:5	codes 403:22 COEX 71:14 72:18 coherent 37:6 84:19 COL 293:4 301:14 301:17,20 Cold 195:15 322:18 collaboration 42:18 collaborative 42:22 44:16 309:19 colleague 255:18 colleagues 218:19 219:2 328:17 collection 205:6 collects 314:15 combination 395:22 combine 54:18 combined 216:7 253:19,22 291:22 295:20 300:11 401:12 come 47:1,10 91:7 134:9 138:9 148:16 162:21 163:13 165:11 211:5 230:3 236:5 247:16 254:7 278:8 282:21 309:6 313:6 347:4 351:13 355:3 364:8 368:14 386:15 404:12 406:2 416:20 comes 10:22 101:1 221:16 231:17 238:4 250:20 302:8 316:15,17 331:13 348:17 360:6 377:7 386:2 comfort 189:6 233:4 comfortable 186:3 192:3 393:20 coming 83:7 84:5 103:6 169:11	202:14 204:20 205:2 239:22 248:11 304:18 388:3 comment 86:6 103:11 120:4 128:18 129:12,15 134:1 135:2 208:1 217:21 274:8,21 365:14,16 367:10 396:12 397:4 405:7 412:3 413:5 commentary 282:11 commented 154:16 comments 3:4 28:6 127:3 160:11 193:7 242:8 332:7 365:8 396:10 commerce 58:19 64:6 155:10 commercial 5:2 7:17 10:16,20 11:2 12:19 13:5 14:12 19:7,20 31:7 50:14 53:20 56:12 57:1,2 58:3 58:7,9,15 67:4 78:21 100:15 162:3 166:19 172:22 183:5 184:21 192:12 212:1,22 215:7 223:7 224:3 237:13 249:20 250:1 287:8,15 357:17 363:17 364:4 366:12 398:6 commercialization 10:14 11:5 257:17 commercialize 30:4 commercializing 184:3 commercially 116:11 360:8	commercially-co... 287:16 commercially-pr... 52:7 commercially-vi... 116:13 232:9 commercial-based 56:18 commercial-size 206:5 Commission 1:1 6:6 7:7 15:19 18:18 21:5 32:2 33:11 39:14 44:13 57:18 63:6 65:5 67:12 79:11,16 80:8 88:22 108:16 138:5,8 155:10 159:2 164:10 166:10 167:16 168:17 188:3 213:6 249:18 254:19 266:8 268:22 287:9 291:6,14,21 292:6 318:21 322:14 325:22 331:15 345:14 368:22 370:19 376:4 392:5 397:17 412:13,14,20 414:12 417:4,14 Commissioner 140:11 201:6 204:11 219:1 259:5 416:13 Commissioners 11:20 109:16 201:5,12 216:12 229:6 318:16 417:16 Commissioner's 218:18 Commission's 12:14 67:18 commitment 24:8 24:9 33:7 60:22	363:11 374:6,15 commitments 342:11,18 373:9 committed 190:2 342:9 committee 5:12 48:3 168:20 268:18 307:17 308:2,3,17 309:13 309:18 310:5 311:8,16 312:17 316:18 320:5 332:10 333:16,18 356:15 392:4 397:2 Committees 154:10 commodity 155:11 353:3,8,14 common 309:7 communicate 43:11 communications 194:19 communities 60:18 189:16 community 60:8 192:1 310:22 311:4 316:20 391:17 392:22 394:10 compact 195:17 198:10 compactness 197:4 companies 44:3,6 48:19 100:5 107:13 116:14 185:4 188:13 192:19 205:7 248:13 290:15 297:3 311:1 318:6 319:11 320:22 321:4,7,14,15 322:12 323:13 324:16 328:21 330:8 336:6,15 337:4,17 341:6 342:20 343:14
---	---	---	--	--

351:13 363:20	366:14	167:18 169:22	confer 121:14	considering 224:9
365:22 366:20	competitively-aw...	181:10 195:20	conferences 324:7	251:22 275:1
367:1 374:13	294:18	196:22 227:22	conferring 320:11	283:16 290:21
375:4 376:2 378:1	competitiveness	402:8 409:5,6	confess 266:17,18	294:10
379:10 407:2,4	247:19	410:10	confidence 24:3	considers 348:3
company 48:17	competitors 250:18	concepts 66:8	59:21 83:10	consistency 217:22
183:22 249:20	complementary	117:16,19 169:17	139:14 290:16	consistent 23:19
320:7 330:1 337:4	260:20 276:7	177:18 178:3	394:3	57:7 311:16
337:6,10 372:3	277:6	188:17 218:12	confident 355:1	377:15
375:5 386:7	complete 149:17	concern 110:6	confirm 132:14	consistently 392:19
comparable 172:15	292:2 353:22	111:11 291:1	confuse 99:9	consists 13:21
comparative	completed 49:19	302:20 307:5	confused 140:18,21	90:21
117:12	291:13 408:17	concerned 3:21	140:22	consolidate 365:6
compare 69:13	completely 13:20	8:22 47:4 61:20	confusing 137:18	consolidation
271:9 337:11	137:13 228:2	63:7,11 87:19	confusion 88:12	364:18
compared 29:19	284:21 285:1,2	170:19 171:4	412:4,5	consortia 204:22
71:20 93:21	315:14 366:17	176:22 417:11	Congress 31:13,18	294:19
113:14 182:5	completing 317:2	Concerning 75:18	240:11 269:2	consortium 192:16
200:3 280:11	completion 215:8	concerns 29:22	333:7 369:18	260:3 296:3 300:2
341:5 360:21	complex 13:10	60:14 111:4	400:14	constant 69:14
376:21 385:19	27:21 105:17	121:21 185:12	conquered 414:11	202:15 203:7,8
compartmentaliz...	337:20 377:20	187:15 189:15	consensus 149:17	constantly 153:3
36:19	complicated	198:17 264:5	309:7	169:11
compensate 120:21	105:20 119:9	concessions 150:9	consequence 338:6	Constellation
121:8	316:1	conclude 24:13	406:14	290:9
compete 158:19,20	compliment 191:19	149:15 182:8	consequences	constituency
219:22 248:14	component 251:5	concluded 182:9	314:11 413:16	134:18
competency 34:18	341:2	311:5	conservation	constitutes 138:11
competent 11:3	components 174:6	concludes 61:14	155:15	constraint 411:14
competes 44:4 95:7	184:11,20 185:1	183:9	conservative	constraints 86:1
competing 248:10	188:11	conclusion 78:19	188:22	185:10 210:16
284:22 285:14	composite 102:15	81:6 208:20 312:1	consider 7:8 55:10	229:9
358:2 389:9	105:3	concrete 102:8,8,14	69:18 73:8 127:9	construct 74:22
competition 193:14	composition 18:6	102:16 204:14	142:12 166:10	131:9
199:5 217:3 218:7	comprehensive	237:16 245:15	176:12 215:4	constructing 107:2
239:18 285:16	52:5 59:5 346:5	concur 416:12	261:21,22 287:9	construction 100:6
348:6,14 349:2,4	compressing 286:8	concurrently	considerably 339:2	102:16 105:3,4,6
358:21	comprise 57:21	177:18,20	362:17	106:13 202:7
competitive 58:15	comprised 300:3	condenser 187:14	consideration 10:2	204:14,18 213:18
154:17 168:2	computer 403:17	conditional 342:2	46:16 136:21	213:20,21 214:1
201:18 216:18	403:22	374:6	146:9 327:3	229:9 237:15
217:18 220:6	concede 139:20	conditionally 375:7	400:16	291:11,22 292:3
224:10,12 226:14	148:7,14,19	conditions 147:19	considerations	293:13 295:20
227:5 244:2	conceivable 37:19	213:15 224:8	21:17 302:17	297:12 298:2,5,10
258:11 281:17	conceived 195:16	243:6 292:22	303:13 336:4	300:11 302:22
287:21 302:10	concept 55:20	conducted 10:9	considered 225:7	305:10 315:14
303:6 306:13	116:7 119:6	73:7	225:16 287:12	336:20 337:21

338:1 363:12 364:1 367:8 consultant 317:16 consume 54:1 200:15 consumed 53:2 196:16 consumers 386:15 consumes 170:4 contain 114:9 124:20 132:20 198:6 contained 173:11 293:22 containment 179:11,14,17 180:9 187:22 197:22 contains 14:6 contemplating 406:16 content 14:4 17:20 77:6 91:10 118:22 174:18 310:18 context 144:10 249:17 294:8 391:13 400:2 402:9 412:10 417:19 contexts 393:14 continual 129:4 continuation 166:4 383:15 continue 24:22 46:4 70:19 98:2 111:7 153:18 175:14 196:11 218:8 317:4 339:10 350:5 387:9 393:17 continued 9:15 56:12 94:4 156:12 162:17 continuing 20:15 59:8 continuous 14:18 184:5 197:5	332:21 contract 360:11 367:18 374:15,17 384:7,21 contracted 375:4 contractor 41:9 209:22 contracts 248:12 298:5 336:17 383:17 contractual 394:12 395:7 contrast 160:10 338:22 contribute 18:20 18:21 171:8 181:22 206:13 contributes 17:2 18:15 contributions 74:13 370:6 contributors 16:12 control 88:3 106:11 110:18 228:17 241:11 245:7,8 246:3 251:8 283:10,13 316:1 364:13 365:2 controlled 87:13 controlling 228:14 controls 42:21 231:7 380:15 controversial 329:4 Cont'd 4:1 5:1 convened 1:14 138:5 conventional 170:22 172:13 181:7,14 182:4 186:20 237:4 241:5 conversation 181:20 226:15 242:2 281:21 conversations 181:18 245:11 conversion 117:17	198:12 convert 75:15 343:12 converting 196:13 convince 125:6 152:6 168:8 304:19 coolant 114:8,9,11 403:2 coolants 367:6 cooled 30:11 179:20 239:18 240:14 cooling 76:10 171:6 194:18 198:14 cooperative 294:16 301:12 cooperatives 186:6 coordinated 306:21 copies 53:5 core 174:12 176:11 182:8,19 196:9,12 196:16,18 198:10 207:4 corners 109:4 corp 51:7 corporation 24:17 85:18 164:15 correct 125:16 131:5 133:15 137:20 138:12,13 223:1 345:8,12 362:8 410:14 421:6 correction 122:22 125:1 correctly 215:19 406:15 407:10 cost 22:15 23:1,2 30:15 36:12 40:18 52:14 61:10 74:21 75:3 79:2 95:3,6 97:16,20 98:1 112:7 144:18 186:9 197:16,18 198:16 201:17 203:5,11,13 204:2	204:2,3,13,14 211:1,6 217:4 218:2,4 220:17 223:4,9,14,20 224:2,3,6,18 226:9 228:18 235:5,10,11 237:8 237:11,12 243:7 244:1 254:9 268:13 272:2,5 277:12 285:12 290:6 291:3 294:17 295:5 297:16,17 302:19 302:22 304:2,17 305:4,5,8 319:19 330:3 332:22 334:19 336:18,20 347:15 353:13 362:10 363:5 377:5,6 378:10,11 378:13,16 382:16 385:13 387:6,19 387:22 388:3 394:15 407:20 costly 93:2 197:21 198:5 208:21 costs 11:9 22:18 99:21 154:20 198:15,20 201:14 201:17,22 202:12 202:16 203:7 204:18 206:3 212:20 217:16 218:1,14 220:4 224:2 228:14 236:3 272:10 277:14 285:3 313:17,18 336:21 338:4 343:3,20 344:13 359:21 386:21 395:5 cost-competitive 169:5 cost-effective 43:14 393:8 cost-effectively	131:11 cost-share 106:18 107:13 cost-shared 296:6 cost-sharing 191:8 254:8 296:13 cost/benefit 202:11 Council 2:13 4:17 201:2 counting 253:20 countries 19:22 89:15 90:5 110:20 111:8 138:22 140:4 142:3 143:12,14,15 144:11 161:19 193:21 208:9 249:10 251:22 252:5 280:16 281:13 283:22 360:22 country 25:21 72:11 83:16 84:5 157:1 162:15 171:11 243:12 249:1,21 250:5,15 251:13 252:1 277:9 280:18 281:1 284:16 289:7 295:13 330:7 336:2 350:7 372:3 374:20 378:4 385:5 391:9 392:15 398:16 400:7 418:3 country's 247:3 249:22 300:9 couple 22:1 23:15 51:14 112:2 117:10 118:16 134:2 141:5 151:19 203:6 219:7 222:22 225:2 231:10 235:17 241:20 275:18 311:21 320:12 341:16
---	---	---	--	---

345:22 356:3,11 373:6,14 390:11 398:10 406:9 407:17 course 15:19 17:11 19:13 23:10 50:15 57:14 59:6 102:4 109:10 168:15 174:20 175:12 217:3,19 221:8 248:2 282:16 303:12 314:15 318:5 366:2 409:19 413:18 cover 11:8 36:17 286:2,10 319:3 covered 284:3 361:7 covers 11:4 co-chairing 308:3 Co-Chairman 6:13 9:5 99:13 119:19 Co-Chairs 1:16 317:11 Co-location 15:7 CO2 171:17 195:5 196:3 199:9 200:10 277:1 388:16,18 create 45:10 61:12 86:13 169:16 227:12 249:12 260:13 269:12 325:19 352:13 393:15 408:15 created 23:5 51:10 55:12 253:18 322:17 346:17 398:12 creating 31:14 130:4 227:9 231:20 232:3 331:7 353:7,15 405:3 creation 51:5 87:3 87:4 168:19 308:10	creative 391:19 392:1 credibility 20:17 credible 64:12 72:3 346:14 credit 24:20 218:13 294:3 343:13 361:6 384:1 410:3 410:5 credits 297:13 302:16 306:4 343:10 crises 196:3 crisis 322:18 384:1 405:9 criteria 135:14 298:16 critical 190:14 191:6 233:6 241:17 246:7 251:5 351:22 383:11 critically 84:19 85:1,7,13 104:22 critique 112:11 cross 78:16 350:11 crossroad 251:11 cross-cutting 309:14 cross-section 78:12 311:3 crucial 16:3 24:2 210:21 306:17 325:9 329:11,15 crucially 85:16 106:1 crude 156:7 389:3 cultural 405:6 culture 325:9 curious 139:13 233:20 241:2,13 360:2,13 361:1 367:2 402:10 curium 77:11,15 132:21 133:8,10 current 23:17 27:12 29:20 39:18	41:17 46:6,9 51:20 56:21 57:16 67:17 69:11 80:13 82:12 94:8 108:15 108:19,22 109:6 118:9 135:6,7 188:21 222:9 230:16 263:18 290:8 291:8 297:17 312:2 313:9 323:1 345:21 346:14 347:9 375:6 379:20 401:9 420:3 currently 28:10 33:16 38:11 56:17 81:1 82:19 83:13 138:22 188:13 192:17 227:13 244:18 297:5 315:2 317:4 342:7 367:16 curve 198:19 202:14 235:12,14 cushion 362:15 customer 34:15 163:9 277:3,17 customers 26:12 28:11 34:14 40:17 184:12 186:16 232:16 233:5 271:22 276:13 cut 109:4 200:10 269:21 cute 272:22 cuts 198:15 cycle 1:4 3:9 4:2 6:5 7:6,13 9:16,19 9:22 11:6 12:17 20:17 21:8 23:19 24:18 26:22 27:21 31:17 36:6,9 37:9 38:1,5,19 39:2,13 39:15 42:11 45:3 48:4 50:9 52:6 53:8,21 54:5,7	56:5 58:1 59:10 63:17,17 65:15 66:8 67:4 72:8 76:6 80:22 82:17 105:18 106:2 110:10,14,19 111:6,12 116:18 117:6 119:17 120:14 129:22 130:2,6,21 143:22 144:5,13 145:3 146:2 153:12 166:6,14 169:10 171:2 174:4 181:5 181:15 182:4,16 183:5 187:4,18 188:12 202:5 203:18,19 207:4 214:21 224:5 239:8 253:2 255:12,13,17 256:3 268:7 298:1 303:13 345:17 347:17 348:2,3,18 357:14 367:4 404:17 413:13 416:17 cycles 21:7 77:10 85:15 115:16 130:4 175:15 176:15,16 200:7,8 210:10 cycling 18:20 Czech 208:13 C-O-N-T-E-N-T-S 3:1 4:1 5:1	193:18 194:15 257:12,13 284:5 328:3 390:10 date 65:13 66:22 301:20 342:2 406:21 407:13 dating 68:6 day 1:9 6:19 150:3 199:7 244:9 420:15 days 11:17 384:11 day's 12:3 DC 1:15 de 205:8 253:20 dead 226:3 270:11 270:21,21 271:6 271:14 273:21 274:2 277:20 391:10,21 392:10 398:4 405:21 deadlock 56:19 deal 23:22 86:14 115:19 128:2 129:16 133:5 169:9 249:10 276:21,22 303:3 303:11,14 337:1 342:17 376:22 379:10 381:6 383:8 dealing 49:15 84:18 86:17 116:3 151:14,16 162:9 236:5 316:21 deals 48:17 dealt 78:7 110:8 114:13 309:8 deal-breaker 98:17 debate 37:16 45:14 94:8 97:11 221:19 221:22 380:19 412:18,19 414:4 debated 27:16 debt 174:2 331:12 332:16 335:11 341:1 362:14,20 362:20 364:2,3
---	---	--	--	---

370:8	75:7 214:14 354:1	demand 171:11	173:20 174:10	259:21 267:6
decade 105:13	decrease 378:15	289:14,15 303:9	193:15	292:8,9 293:3,10
113:10 127:7	decreased 39:2	365:3 373:16,18	deploy 7:18 50:14	296:7,12 300:15
231:11 260:14	decreases 105:5	374:1 381:20,21	166:20 208:22	305:3,10,18
392:20	dedicated 26:15	demographic 405:9	250:21 252:6	310:19 403:6
decades 13:10	deemed 72:13	demonstrate 54:5	276:4 281:19	designated 2:2 3:3
14:17 25:22 26:19	deeper 144:14	88:7 300:10 340:6	365:20	209:10
31:8 33:16 38:5	257:15 403:16	408:13	deployable 260:14	designed 38:5
57:5 144:21 146:5	default 343:6	demonstrated	deployed 250:6	173:2 184:9
162:18 192:13	defense 2:13 4:17	16:22 66:15 68:8	280:17	187:14 195:21
220:2 323:8	201:1 378:22	116:10 133:16	deploying 281:2	198:3 243:16
325:14 398:10	379:1,3,6	175:3 207:11	deployment 10:16	252:3 294:3
decay 16:15 80:2	defense-in-depth	217:9 262:7	53:14,20 58:2	303:21
118:12 120:17	198:5	demonstrating	189:22 190:22	designers 308:20
126:8 130:6 151:3	defer 261:9	295:16 307:6	191:7,9 230:22	designing 37:15
197:11	define 42:13	demonstration	243:5 244:12,16	124:1,4 404:16
decayed 180:8	185:22 260:6	31:5 51:5 53:11	260:17 261:8	designs 27:13
decide 158:17	354:11,16	54:16 60:6 293:20	287:15 294:12	33:18 34:2 100:7
164:16 215:10	defined 70:5	295:22 296:5	306:18 331:5	188:15 204:21
242:17 248:17	defining 42:4	366:22	deployments 53:4	219:8 226:18
351:14	189:10 354:19	denature 163:18	deploys 35:2	239:22 253:11
decided 93:6 97:4	definitely 301:3	deny 72:12 398:3	depreciation	260:16 261:11
202:20	404:4	department 2:15	343:16	273:4 281:8,9,10
decides 85:9	definition 97:17	10:9 24:15 43:1	derivative 351:8	281:11 290:22
deciding 161:20	138:9 191:21	49:3 76:4 81:18	describe 225:4	292:12 296:6
decision 18:18	319:18	82:12 145:16	257:11 258:3	297:5 329:11
87:16 106:10	definitional 138:2	177:7 190:22	407:14	336:15 401:12
153:4,5 164:15	138:3	192:20 205:10	described 53:4,8	desirable 37:3 42:7
232:17 298:16	degrades 18:6	254:17 341:11	60:6 86:14 119:12	45:17 88:1 312:10
decisionmaking	degree 141:21	342:14 343:2,4	131:19 177:19	desire 80:8 180:16
303:22	251:16 283:1	350:9 372:6 373:4	227:22 228:3,11	desired 42:10
decisions 81:2	degrees 172:10	379:1 397:3,8	229:2 256:15,16	45:18 181:2
82:20 97:18	320:8	departments 397:8	256:17 257:5	Despite 298:12
164:12 232:17	delay 297:11	depend 60:17	339:5 340:22	destroys 18:4
269:14 296:18	delayed 375:15	251:16	378:19 407:16	detail 48:6 78:5
298:14 351:10,11	delaying 45:6	dependence 170:19	design 15:9,10	295:8 311:21
396:19 405:2	delays 343:20	171:16	28:12 31:1 33:15	detailed 61:8,11
413:16 417:20	375:20	dependent 86:21	33:20,21 34:8	123:6 356:13
declaratory 137:12	delegated 82:2	149:8 241:3	35:15 37:22 86:2	details 12:21
137:14,15	deliberations 73:9	277:13 358:22	103:7 104:6,14	detection 255:8
declaring 420:21	delighted 25:16	depending 224:7	105:18 124:2,10	determination
decline 410:13	32:15 345:10	386:4	124:13 154:1	37:10
decommission	deliver 106:6	depends 96:8 111:5	179:7,21 180:18	determinations
74:18 75:4	delivered 35:17	187:2 230:8	182:15,19 188:2,5	394:3
decommissioned	43:10 179:12	234:14,21 242:7	188:8,17 196:4	determine 152:20
214:13 355:10	delivering 34:12	depleted 14:11	226:19,21 229:17	412:14
decommissioning	187:17	172:12 173:9,17	232:14 246:5	determined 130:19

develop 7:18 12:19 35:16 42:11,17 43:3,8 67:5 116:14 166:20 169:17 190:19 193:3 199:1 205:20 208:22 226:3 240:7 254:9 282:19 292:8 312:20 316:21 317:5 331:11 347:1 412:11	229:8 246:13 248:1,4 252:18,20 267:21 287:15 294:19 296:10 300:3 331:5 336:2 344:6 398:20 400:12	147:13 248:13 325:6 338:4 361:5 364:8,22 385:4 409:15 416:9 420:21	48:6 53:11 78:1 170:7	divert 260:12 divorced 377:21
developed 38:3 39:10 49:2,14 52:4 85:10 129:18 152:22 177:11 187:6 262:16 279:16 280:4 281:1 291:7 293:16 296:1,5,9 312:2	develops 251:13 413:1	difficulties 107:10 236:4 266:21	discussed 65:6 66:8 121:5 161:5,9	Dobson 2:5 3:19 8:18 47:18,20 48:1,16 49:8,13 50:4 86:7 113:5 115:13,17 116:1,5 132:9 147:10
developer 26:21	devices 10:21 100:16	difficulty 78:20	discusses 61:10 78:5	Doctor 88:16 160:6 167:13
developers 308:21	devil 410:16	dig 17:12 229:13 237:3 257:14	discussing 13:11 192:15	DOE 3:3 5:5,5,8 125:1 145:9 179:6 193:2 195:4 200:4 204:16 209:20 214:17 301:6,11 303:20 309:21 322:15 323:10,11 323:18 325:4 326:20 330:5 351:10 365:21 375:22 406:7
developing 27:12 85:6,10 88:8 184:2 195:3,9 199:18 200:12 223:2 252:5 254:15 268:2 281:12 346:4 348:2	diagram 181:8	digging 237:5	discussion 123:6,8 129:4 133:17 167:7 205:14 270:8 345:17 378:21 400:14	DOE's 146:2 202:3 288:9 323:19,22 341:18
development 20:22 23:6 34:11 39:22 43:20,22 44:10,15 44:18 49:11 52:1 52:2 53:19,21 55:3 58:1,2 59:9 60:11 61:5 63:20 81:9 88:20 104:15 105:19 106:2 119:10 130:21 132:13 139:11 140:5 145:11,18 146:4 147:5 177:12 179:1 182:22 188:14 191:10 200:6	dialog 308:18 309:3	digits 98:14	discussions 8:4 32:9 207:18	doing 15:16 23:2 47:13 88:22 89:7 93:13 96:15 98:8 98:13,18 99:8,10 123:19 125:7,21 126:17 151:21 161:18 163:16 212:12 219:16 236:20 237:2 253:12 254:20 264:14 265:20 272:10 292:17 300:21 315:14 318:4 319:10,12 320:16 325:7 348:13 369:13 370:3 414:15 415:22
	Dick 233:11 240:15 400:21 409:17	diligence 405:7	disposal 13:5 14:15 16:2 24:7 51:19 52:11,15,17 57:4 59:8 65:8 71:14 79:10 81:11 88:9 88:12 89:20 133:2 133:13 158:7 205:10 259:14 261:17 353:22 419:7	DOE's 146:2 202:3 288:9 323:19,22 341:18
	dictate 359:15	dimension 169:16 279:5	dispose 158:9 163:1	disruption 393:15
	diesel 199:15 238:4	directed 196:4	disposed 7:15 10:5 50:11 51:16 66:4 166:17	dissociation 199:12
	differ 150:15	direction 25:20 68:3 126:16,20 163:7 164:4 342:15 405:5	disposition 45:14 46:11 55:8 56:13 60:21 188:4 191:18	dissolved 197:1
	difference 98:12 137:18 150:21 153:21 292:4 419:5	directions 146:14 147:7 412:11	disrupt 394:5	distance 416:14
	different 30:8 38:6 38:7 56:4 93:10 118:15 127:13 137:14 138:18 149:13 152:12 183:19 204:13 222:8 237:10,10 252:21 256:5 259:15 260:9 261:14 264:8 272:16 273:7,12 273:20 294:5 317:18 349:4 358:3 366:11 406:5 407:12 417:15 418:16 419:17,20	directly 22:22 66:14 73:4 136:7 185:3	disruption 393:15	distinction 86:10 236:12
	Director 4:21 5:7 5:19 288:8 331:22 332:15	Director 4:21 5:7 5:19 288:8 331:22 332:15	disrupt 394:5	distinctly 48:2
	differentiate 28:5 100:18	Directors 268:19	disruption 393:15	distinguishes 194:8
	differently 241:4	disadvantages 93:22 277:18	dissociation 199:12	diverse 9:11
	difficult 27:17 28:1 78:8 105:21 106:15 119:10	disagree 125:13 161:15 352:5 358:9	dissolved 197:1	diversion 19:8 255:8
		disappear 162:15	distance 416:14	diversity 107:20
		discharge 174:19 174:22 175:11	distinction 86:10 236:12	
		discharged 13:19	distinguished 48:2	
		discharges 52:20 55:7	distinguishes 194:8	
		disconnect 346:17	diverse 9:11	
		discounting 203:6	diversion 19:8 255:8	
		discover 405:7	diversity 107:20	
		discuss 12:21 15:15		

304:22 385:16 397:14 dollar-per-kilow... 226:14 281:17 dome 133:2 197:22 Domenici 1:15,18 3:5 6:8,10,13 9:8 12:6 21:18,20 22:6,13 25:5 32:11 33:1 46:18 47:8,15 48:2,11 49:5,12,22 61:16 62:4,8,15,19 63:1 63:10 65:9,17 73:12,22 80:4 82:13 83:1,5 84:11 86:5 87:6 88:15 89:16 90:8 99:13 109:13 111:14 119:19 122:1 127:14 134:5,9,13,20 135:6 136:16 140:20 141:10,20 143:6 152:14 154:3 164:19 165:2,5,17,18 219:1 287:3,4 293:7 298:17 299:2,5 307:13 317:8,12,15,20 318:2,8 331:19 333:1,3,11,15,19 334:1,11 345:3,10 355:21 368:8,18 374:9 386:14 388:14 389:1,6,11 389:15,18 390:13 390:17 400:20 409:17,20 410:15 410:19 411:2,11 411:17,22 413:4,8 413:19 414:1,14 414:20 415:4,7,12 417:21 418:4,12 419:12,18 420:14 421:4	domestic 19:18 187:11 255:17 256:8 282:22 domestically 144:6 dominance 10:21 dominant 338:15 dominated 145:9 Dominion 296:2 Dominion's 295:18 donate 325:22 doorstep 322:7 dose 118:12 401:20 403:13 404:7 doubles 382:22 double-check 259:8 doubling 198:21 doubt 131:14 321:13 Dow 156:22 157:9 downstream 330:19 Dow's 157:5 dozen 309:22 310:15 311:1 Dr 3:7,12,17,21,23 4:5,9,15,18,21 5:14 8:8,14,20 9:1 9:5 12:7,11 21:19 21:22 22:8,15 25:9 32:13,18 33:3 47:7,14 61:18,21 62:1,6 62:12,17 63:3,11 65:11,18 73:15,19 74:3 75:10 77:3 81:3,5 84:12,13 87:7,8 89:10,18 90:10,20 91:4,9 91:13,18,21 92:1 97:10 98:10,19,19 103:17 107:17 110:4,15 112:22 113:6 114:6 117:20 120:15 123:1,6 124:22 125:15 128:17	129:14 130:16 131:2,5,7,15 133:22 135:11 136:6,13 140:1 141:8,12,16 142:3 143:11 145:22 149:15,22 152:16 160:13 161:13 167:10,14 178:13 178:14,18,20 185:16 193:8,10 200:20,22 201:4 209:5,7 218:3 220:13 221:11 225:1 227:20 231:13 232:11 234:2,6,9,21 235:3,9,16 236:10 236:17,22 237:9 238:8,14 239:5,15 239:17 240:2,5,19 244:21 248:7 250:9 253:6 255:14,18 256:2 256:11 257:19,22 261:18 262:4,22 263:6 264:16 266:6 267:16 271:5 272:14,19 273:1,7,11,17 274:4,7 276:10 277:8 278:21 280:6 284:14 307:15,19,20 311:7 317:10,13 317:16,22 318:3 320:11 327:5 419:21 420:10 draft 55:21 drafting 369:5 dragging 56:11 drains 198:8 dramatically 39:1 123:21 124:6 draw 86:9 186:19 222:17 drawing 329:9	drawn 185:20 draws 189:20 dried 101:15 drill 155:19,19,20 156:6 drilled 155:14 drilling 155:18 377:8 drills 156:6 drive 37:2 42:8 104:5 130:1 167:22 228:18 243:7 325:12 329:12,13 330:14 348:9 349:3 driven 102:21 105:11 263:12 267:8 295:1 315:9 336:3 350:21 drivers 57:8 61:2 driving 349:2 388:8 397:19 drop 387:7 dropped 200:2 373:16 drops 363:16 drove 384:3 drudgery 414:21 drug 328:10 401:5 401:7 403:14 drugs 10:20 100:15 404:2 dry 13:15 158:5 181:13 dual-use 87:12 150:19 ductile 102:17,21 due 186:8 299:10 405:7 dug 144:14 dumb 152:5 dump 198:8 Duquesne 249:19 253:15 d'etre 284:19	E 1:14 eager 169:19 172:1 earlier 13:1 55:11 122:10 161:15 205:15 208:2 233:1 248:19 274:8 280:15 282:12 308:7 363:3 391:8 404:10 419:10 420:1 earliest 35:14 339:15 early 43:22 44:9,17 101:4 229:20 239:21 292:15 293:11,18 295:10 295:16 297:1 316:6 325:10 340:6,7 366:22 401:11 early-on 106:1 Earth 156:4 164:2 easier 103:8 416:10 easily 115:1 East 388:4 easy 289:13 eaten 414:4 echo 84:14 225:1 226:7 282:7 economic 7:19 11:9 23:6 37:5 50:16 61:1 99:11 116:21 147:20 149:10 154:22 166:21 205:1 216:22 219:15 226:11 234:17 265:2 296:7 302:17 307:9 329:10 342:19,22 346:17 347:7 358:14 365:4 economical 97:13 97:18 98:11 113:14,17 138:3 161:4,16,16,17
--	---	--	---	--

206:7 220:18 221:2 265:7,11 415:9 economically 20:5 40:16 43:14 79:5 92:17 93:11,19 97:8 258:10 300:12 economically-via... 233:21 234:5 economics 20:3 30:21 39:2 42:21 57:9 60:14 74:20 78:20 93:6,16 98:9 112:4 138:11 147:18 148:4 168:1 169:4 180:2 189:22 190:7,14 195:13 206:18 210:17,21 211:5 211:15,16 214:22 216:15 220:14,15 224:1 243:5 244:16 257:1 290:3 313:21 329:12,13 380:1 economies 220:3,5 227:2 economist 220:14 economy 74:14 84:17 85:5 174:14 224:20 284:10 Ed 8:20 61:18 107:5 117:8 145:14 EDF 205:7 Edison 320:18 editing 311:6 editor 311:9 educate 326:15 educating 204:6 253:10 education 2:11 4:14 194:12 397:19 educational 398:17 Edward 101:13	Edwin 3:21 61:19 effect 87:21 304:14 388:17,19 effective 34:3 37:11 45:12 58:5 60:19 68:16 106:16 191:5 268:14 306:17 effectively 20:7 35:16 54:6 301:9 effectiveness 68:5 110:13 176:4 effects 402:1 efficacy 402:18 efficiencies 133:15 198:12 efficiency 33:22 34:4 36:11,21 46:2 132:14 133:7 170:11 172:6 190:7 197:4 258:12 289:19 381:20 efficient 171:13 199:12 258:13 265:10 306:18 328:12 347:2 398:11 efficiently 27:15 45:5 125:21 168:5 176:18 264:19 265:5 effort 67:22 73:13 294:16 303:18 306:21 308:6 311:2 312:19 318:1 341:16 efforts 7:17 12:19 50:14 166:19 193:2 309:20 340:15 eight 95:15 114:18 164:20 244:4 311:12 317:3 372:13,14 389:19 eight-day 78:15 eight-year 105:6	Eisenhower 1:20 110:1 136:22 137:1 140:2 145:14 149:19 159:2 201:7 246:8 246:9 250:12 252:11 255:9,15 256:1,4 390:16,18 392:13 393:4 396:9,17 398:1 399:6 400:18 either 15:5 66:12 80:14 81:3 82:3 115:7 130:20 172:11 174:9 220:21 228:7 246:22 277:13 313:3 364:22 370:10 376:3 412:15 419:6 election 85:15 electric 2:3 10:11 172:5 185:21 186:5 199:19 234:20 262:14 278:3 290:6,10 294:8,19 296:9 315:5 319:17 332:17 381:10,14 electrical 194:16 194:16 247:6 313:15 315:3 399:13 Electricite 205:7 253:20 electricity 26:5 29:4,7 30:11 36:12 40:18 145:6 171:10,14 225:21 231:8 277:15 289:5,6,13,15 323:4 324:12,19 325:5 326:6 330:16 331:6 347:21 350:17 368:5 373:16,18 374:1 381:21	384:6 387:8,12 392:17 electrification 171:10 Electromagnetic 4:6 167:11 electrowinning 54:11,22 elegant 180:7 element 106:15 298:12 340:20 366:6 elements 57:21 175:5,6,11 344:21 359:11 384:13 385:3,4 eliminate 180:2,3,3 316:6 329:17 eliminates 170:21 279:8 eliminating 30:2 226:22 elimination 330:20 EM 176:22 embrace 28:21 emerge 45:2 282:13 359:14 emergence 366:14 emergency 241:8 243:3 292:19 emerging 187:6 250:16 emissions 171:18 199:9 200:11 220:19 277:1 289:11,16 381:1 381:18 emission-free 289:6 emit 195:5 emphasis 146:1,2 emphasize 60:1 106:8 133:12 300:19 331:14 emphasized 75:10 emphatically 50:19 emplacement	352:15 353:7 employ 14:21 185:3 321:7 employees 32:22 46:13 47:3 406:2 empower 350:1 EM-squared 176:10,15 177:1,3 177:16 258:19 261:13 262:19 277:4 EM-2 178:7 enable 51:2 56:20 61:3 228:17 313:1 enablement 326:5 enables 24:4 194:10 197:3 198:11 279:6 enabling 5:2 198:14 287:7 enact 39:15 enacted 80:16 encompass 191:9 encountering 211:22 encourage 199:4 400:12 encouraged 294:18 309:5 encouragement 305:20 encourages 177:18 encouraging 169:18 294:21 ended 330:10 ends 348:13 end-process 68:14 energy 2:4,5,16,17 3:18 4:6,11 5:9 8:13,18 10:10 14:7 17:3,9 20:16 24:3,16 25:11,16 25:19 26:9 29:18 32:4 38:15 39:19 40:6 43:1,17,18 44:5 46:8 47:19 47:22 48:5,14,16
---	---	---	---	--

49:3,14 52:4 55:9 56:10,13,16 57:6 59:22 70:4 76:5 82:12 83:14,16 85:4 86:12 100:19 123:18 124:5 127:22 128:5 145:16 148:18 152:19 155:4 156:4,9,17 158:16 158:17 159:8 167:11 168:5 169:5,11,21 171:3 173:11 174:18,21 176:5,19 177:7 184:1 185:9,16 187:2 189:14 191:1,2 192:18,21 193:15 194:15,16 194:17 195:3,13 196:3 197:15 202:4 204:10 205:7,10 214:18 216:19 217:14 218:9,17 221:10 222:10 243:13 247:11,13 249:18 254:17 256:21 257:2 261:20 263:3 264:22 271:9 276:3,13 287:16 288:17,22 293:22 297:7 298:12 299:3,21 300:3,8,9 303:8 305:22 308:10,12 313:9 317:19 319:13 320:7,9 323:13,18,20 329:7 331:4 332:10 340:11 341:10,12 342:1 343:9 344:11 350:6,9 355:2 365:12 372:6 381:20 386:1 398:11 399:22	400:15 416:2 417:5 Energy's 10:10 254:17 engage 89:13 145:17 204:6 254:16 324:16 412:19 engaged 122:12 204:8 engagement 241:14 engaging 204:16 242:2 412:18 engineer 319:16 engineered 54:16 348:19 engineering 81:17 131:16 184:6 291:2 296:14,15 298:4 311:4 320:6 397:3,7 engineers 34:7 405:10,11 engines 195:18 enhance 254:20 329:8 enhanced 15:3,8 32:3 33:21 enlightening 246:11 enormous 330:3 382:14,14 383:2 enrich 17:13 26:4 enriched 14:9 174:8 175:21 enriching 27:14 enrichment 110:10 111:1 145:5 146:19 170:20 175:13,20 176:7 181:10 200:14 255:22 264:20 ensure 32:3 45:5 104:20,21 108:8 enter 27:9 221:15 entered 364:3 Entergy's 295:18	entering 229:16 enterprise 26:14 enters 363:17 entertain 418:10 entire 37:8 179:10 316:20 348:3 370:10 408:6 entirely 137:20 377:21 entities 59:3 212:22 entitled 141:6 287:7 356:2 entity 51:6 55:5,10 86:13 87:4 145:17 283:13 299:12 300:4 352:13 entrepreneur 320:2 entrepreneurs 320:15 322:5 329:13 330:22 envelope 179:15 292:21 environment 24:20 81:15 83:21 102:18 149:6,11 149:11 180:11 243:19 244:14 303:10 333:18 environmental 7:19 11:12 23:11 34:13 35:1 37:6 50:16 52:19 56:11 64:8 166:21 231:6 292:18 environmentally 85:3 envision 27:5 170:14 172:19 175:1 envisioned 292:5 envisioning 316:3 EPRI 68:21 69:7 131:18 133:17 309:21 382:16 390:7 EPZ 243:21 244:10	245:13 equal 173:12 174:1 equation 146:12 equipment 52:8 180:3 227:1 279:10 298:3 336:16 equitable 151:13 314:9 equity 69:22 70:5 70:17 71:5 151:6 332:17 360:5 362:15,20 365:18 384:10,19 equivalent 224:4 era 23:18 27:9 40:6 Eric 123:7 error 203:2 ESBWR 27:13 296:2,8 300:16 escalated 79:3 escalating 401:21 ESP 293:4 especially 34:2 53:22 87:21 270:19 380:10 399:12 400:6 409:9,13 essence 123:18 361:11 essential 273:5,14 274:19 276:11 321:20 331:3 341:1 388:13 408:3 essentially 68:11 69:3,10 77:8,11 105:4 109:5 135:18 346:7 368:4 382:22 establish 20:19 31:16 55:16 220:20 250:5 258:18 333:4 established 39:8 106:5 179:22 291:22 292:14	319:13 330:13 establishing 85:14 258:21 establishment 318:20 estimate 212:19 estimated 27:7 74:19 75:3 estimates 71:18 197:18 382:16 386:13 estimation 304:10 349:10 et 93:18 96:2 169:10 287:13 302:16 308:21 309:17 314:12 euphoria 74:11 Europe 98:16 evaluate 45:4 215:18 341:14 evaluating 185:7 343:3 event 121:2 141:3 events 157:21 314:3 eventual 160:20 eventually 116:9 155:13 163:1 everybody 6:16,21 9:13 65:10 138:12 138:13 140:12 152:11 157:8 158:1 162:19 174:16 263:8 285:21 286:8 328:15 366:2 everybody's 127:1 269:21 evidence 319:2 evident 121:22 evolution 250:16 evolutionary 22:10 188:19 190:17 193:3 338:13 evolve 261:3 evolved 222:16
--	--	---	--	---

evolves 22:9	12:7 369:18	experience 33:19	413:5 415:2,8	facing 121:2
evolving 58:5 59:16	Exelon's 295:17	78:22 98:15 100:8	extra 108:6 272:2	224:15 247:22
184:4	exemptions 312:7	184:7 185:20	279:9 377:8	248:5,8,9,11
exactly 103:7	312:12	189:18 217:10	extract 168:4 176:5	256:20
255:14 278:15	exist 21:7 51:18	230:2 301:2 328:5	261:20 264:22	fact 18:15 58:7
334:6 367:19	67:20 72:16,18	330:11 346:10	extracted 29:19	69:7 71:17 73:2
390:10 420:10	128:21 403:11	360:14 370:18	extracting 29:17	81:10,11 92:4
examines 131:17	existing 37:13	383:13 416:22	176:18	94:11 95:14
examining 104:1	60:20 68:1 69:6	experienced 41:15	extraction 15:4	102:11 114:11
example 19:12 38:9	160:16 170:12	41:21 267:2	extremely 87:21	125:3 130:3 148:4
82:9 101:1 111:10	172:16 186:18	experiences 60:12	102:11 137:17	148:8 161:2
126:3 131:20	187:10 242:18,22	experiment 196:5	264:21 341:22	168:18,18 170:21
146:17 186:5	243:11,20 244:10	experimental	Exxon 320:1	172:20 175:1,8
192:16 207:2	245:19 255:5	279:21	Exxon-Mobil	178:7 193:19
217:9 238:1	338:18 342:6	experiments	337:11,12	201:8 211:9 217:6
242:14 243:12	382:21 387:4	403:18	eye 328:1	222:6 223:13
246:3 250:3	393:10,14,17	expert 49:7 182:7		240:20 255:4
251:21 253:13	394:5 400:8 409:5	expertise 36:2	F	260:2 262:13
254:7 264:20	409:5	41:13 49:10	fabricate 14:9	263:2 269:15
304:9 367:5 400:8	exists 21:9 254:18	185:21 304:17	fabricated 184:22	298:13 315:9
401:6,7 403:1	271:16 373:3,4	341:13	fabrication 15:8	321:14 328:11
examples 22:1,11	expand 181:3	experts 41:22 49:6	315:13 316:16	329:22 353:19
113:19 162:4	expanded 56:12	49:9	face 169:20 274:16	360:18 363:15
204:15,15	expanding 83:3,12	explain 322:13	302:3 325:2	364:9 369:12
exceed 214:4 314:7	84:4 344:1	explanation 259:3	344:12 360:16,18	393:5 401:10
exceeds 223:15	expansion 56:16	explode 155:21	361:22	402:6 405:1
290:7	84:22 86:18 87:10	exploit 54:1	facilitate 7:17	406:16
excellent 9:7	87:14	exploration 119:3	12:18 23:14 50:13	factor 69:9,17
370:17 384:19	expect 96:4 149:20	295:11	166:19 248:19	83:10 103:20
Excelon 299:6	163:12 190:1	explore 168:14	287:14 344:6	130:7 163:22
exception 154:11	284:6 316:11	explored 175:7	facilities 11:14 15:8	202:17 224:2
245:3	335:4	exploring 146:13	20:1 51:9 56:5	factored 224:22
exceptional 36:3	expectation 143:22	export 227:11,12	57:3,22 58:4,22	factories 170:14
189:4,8	expectations 43:4	283:18,21 308:11	59:2,14,16,17	factors 94:11 97:21
exceptionally 44:1	107:7 144:12	315:22 316:5	60:2,6,17 67:14	189:9 190:14
258:8	expected 162:19	exported 316:4	67:19,20 70:20	factory 102:18
excess 335:9	173:18 198:20	exports 248:22	111:13 158:4	179:11 181:4
386:16	420:2	284:11	184:14,15 279:19	198:15 199:5
exchange 63:22	expecting 67:13	expose 402:3	279:21 366:5	315:13 316:11,16
exchanged 196:18	expects 149:17	exposure 362:21	396:2 398:15	factory-manufac...
exciting 246:12	expend 339:16	expressing 33:6	facility 41:5 54:17	180:13
exclusively 324:17	expensive 94:13	extension 27:11	54:17 58:8 76:2	factory-produced
330:15	95:22 105:21	extensive 19:9	124:10,12 207:14	198:18 315:11
excuse 94:18	109:1 217:8,11	23:10 52:2	207:15,16 213:17	facts 137:15,19
165:20 411:22	279:11 383:7	extent 108:3 111:6	213:18,22 214:4	140:12,14,17
excused 356:3	384:21 386:9,11	136:9 143:20	215:8 247:5	149:18 150:2,3
Executive 3:12 8:8	398:11	241:2,16 401:10	268:16	201:9

factual 140:8	238:21 239:14,18	360:10 361:3,14	355:9	fingers 351:20
fail 360:7	239:19 240:5,8,12	363:4 367:4,15	finalization 300:15	finish 23:12 283:18
failed 394:12	240:14 257:5	377:13 379:9	finalizing 336:15	finished 420:15
fails 70:17	265:12 380:7	385:2 394:11,17	finally 30:2 32:1	finite 328:5,6,6
failure 180:2 395:7	404:20	395:4,18 398:22	93:15 117:8 214:2	353:5,5
failures 99:22	faster 217:20 223:6	400:15	316:8 397:20	Finland 82:8
206:1	fast-forward 102:6	fed-corp 31:14	403:13	208:13
fair 97:2 400:13	father's 15:13	55:11 86:13 87:3	finance 244:8	Finns 266:11
fairly 203:8 246:20	209:14	fee 55:18 314:17	341:13 361:10	fireball 195:21
363:16	favor 119:3 138:20	315:6 346:20	366:19 409:16	198:2
fall 101:18 313:12	favorable 148:6	347:9 361:6	financed 362:18	firm 319:9
Falls 131:19	favorite 221:5	feedback 232:22	financial 36:5,20	firms 320:21
familiar 41:15 74:7	FDA 229:18 327:8	233:1	192:1 212:3,18	first 7:4 8:6,8 10:6
101:8	327:15 328:10	feeds 133:16	274:17 291:4	12:5,6,16 15:17
family 30:18	356:18 401:4,18	feedstock 54:21	294:4 313:14	29:14 31:2,13
319:10	401:19 404:18	115:8 117:4,5	344:18 348:22	42:14 50:5 64:21
fans 163:19	FDA's 327:16	199:13	384:18 385:10	65:10,11 66:18
far 79:14 110:19	feasible 88:10	feel 160:3 345:18	386:1 391:16	70:2 86:21 99:21
113:15 144:2	131:8	feeling 242:4	392:22 394:10	106:21 108:12
146:10 147:8	features 68:10	fees 314:15 361:18	financially 348:22	109:7 111:22
150:13 170:18	108:4,21 109:3	feet 179:14,15	financing 186:3,13	112:8,21 120:4,16
171:3 175:18	257:9 258:7	218:8 236:14	224:20 269:8	122:21 124:22
176:21 178:10	February 244:22	254:6	274:14 332:11,17	137:1 140:2
232:13 284:17	294:7 332:9	fee-for 351:5	332:21 334:18	141:10 151:14
333:4 334:12	fed 51:6 205:3	fell 101:17	335:12,12 336:3	154:5,8,16 161:14
374:7 414:8	federal 2:2 3:3 7:16	Fellow 5:22 345:7	336:20 338:16	166:5,12 167:9
farmed 405:12	11:1 12:18 19:2	fence 244:9	339:7 341:2	179:9 192:18
farther 334:10	20:22 24:17 36:14	Fermi 202:19	342:22 354:12	195:19 203:16
373:6	36:16 39:7 50:13	fertilizer 199:17	359:18 362:1	211:1 216:5,13,21
fashion 22:10,11	55:2 58:17 60:21	fewer 130:4	363:8,18 382:15	217:7,10 218:3,5
83:8 159:4	67:3,8 80:13	field 100:11 103:13	383:2,8,20,22	222:13 223:1
fast 34:2 41:1,5	85:14,18 106:3,18	109:10 246:13	391:5 406:9,18	233:14 241:21
53:17,22 54:1,7	107:13 155:8	247:11 283:21	409:4,14	243:13 244:22
54:12,22 98:2	164:14 166:18	344:19	find 57:17,18 59:9	245:10 247:18
112:10 113:6,8,22	177:15,16 178:1	fifteen 47:5,10	60:19 95:12,21	249:20 250:20
114:2 115:8,16	190:20 203:13	fifth 169:14 326:14	104:13 113:13	252:8,15 270:7
116:9,18 117:5	205:2 218:11,16	fifties 34:5	140:9 158:9 162:2	272:1,3,9,10
118:12 119:12	220:9 221:12,16	fight 299:18	175:18 230:15	280:2,18 288:7,11
121:12 123:17	222:11 228:5,6,21	figure 90:17 263:13	276:3 322:3	290:13 295:6,10
145:8,21 146:3	229:11 253:7	273:3 385:13	328:18 371:19	296:13 299:9
147:5 150:14	254:11 269:12	399:3 413:2	379:18 401:19	302:3 303:3 306:8
163:12,14 170:2	277:13 287:11	fill 355:11 358:15	finding 40:14,21	307:5 312:10
200:4 205:13,17	304:9 322:9	final 39:8 46:10	159:12 210:13	313:13 318:18
205:21,21 206:5	327:11 335:17	52:17 59:8 75:22	Findings 5:13	321:17 323:9
206:10,12,16,19	344:18 346:1,5,11	127:12,17 128:1	fine 62:16 134:12	325:17 328:22
206:22 209:1	347:5 351:7,16	164:12 209:4	254:18 352:20	332:4 335:16
211:16 215:13	352:1,10,19	270:3 304:6 311:6	finger 336:1	339:11 341:11

343:22 345:20 356:2,6 360:3,14 362:7,8 383:21 390:18 391:7 392:9,11 393:19 396:13 401:2,19 401:22 402:2,18 406:9 408:12 409:6 410:10 first-mover 103:5 191:11 287:14 360:16 367:9 374:14 406:13 first-movers 5:3 100:20 218:17,20 219:12 287:8 336:17 338:13 340:10,20 342:17 344:7 345:18 359:19 373:12 375:8 383:10 407:18 408:12 409:7 415:19 first-of 220:8 first-of-a-kind 99:20,21 106:22 217:16 218:14 257:18 262:7 291:2 first-of-kind 218:1 fiscal 304:6 342:14 fisheries 193:16 fissile 14:7 17:20 118:21 197:8 200:16 fission 16:14,20 29:8 78:6 90:21 117:17 118:11 125:18 126:6,8 130:6 170:7 174:16,20 175:9 175:16 177:1,4 196:8,17,18 197:11 200:1 fissions 176:7 fit 230:20 245:4 380:9	fits 148:21 230:16 401:18 402:9 five 26:18 95:14 169:2 182:17 197:17 199:1 206:22 229:1 232:15,18 281:7 297:5 341:22 350:13 374:8 five-year 329:20 404:17 fix 7:2 338:4 348:4 349:9,11 360:17 fixed 313:17 314:17 315:6 341:20 384:8 flagship 34:9 flask 101:14 fleet 27:12 35:5 41:17 83:12 94:8 94:10 95:2 128:22 188:22 190:6 191:20 206:16 222:9 254:4 326:11,13 370:10 393:10 flexibility 15:9 46:8 59:7 171:8 258:15 260:10 313:8 374:4 flexible 86:3 159:17 188:9 flight 198:3 flip 105:14 floor 11:20 101:17 222:4 flow 207:16 flowing 207:4 flows 408:7 fluctuations 96:1 276:21 fluoride 196:9 Flux 41:5 focal 371:14 focus 42:20 64:20 100:22 152:9 185:13 203:16,21	203:22 210:13 252:15 256:7 266:2 284:12 303:15 323:18 325:1,4 326:5 345:16 376:14 399:4 413:22 focused 10:7 36:10 147:4 178:22 179:4 188:17 202:4 261:7 264:4 281:12 324:17 330:15 focusing 254:22 folks 136:4 follow 6:17 28:14 53:7 82:9 119:21 122:3 133:21 135:1 229:4 235:12,13 240:17 followed 31:6 following 7:8 8:20 15:2 31:7 160:21 166:11 208:9,15 278:7 287:10 follows 99:18 170:3 followup 160:12 fond 85:20 food 193:15 194:18 footprint 84:17 331:10 Ford 92:8 102:3 foreclosed 161:10 forefront 84:6 forego 87:17 195:10 foregone 208:19 foreign 90:1 266:10 331:13 372:2 foremost 26:21 31:13 foresaw 196:2 foreseeable 202:2 212:5 foreshadowed 327:6 forever 152:5	159:20 176:1 forget 265:13 forgings 271:11 forgive 368:16 forgiving 368:19 forgot 368:13 409:21 form 14:14 16:1,19 17:16 94:16 96:12 135:7,7 197:1 309:13 347:6 formal 230:2 324:4 formation 136:10 168:16 formed 9:20 26:10 48:18 300:7 308:17 319:9 forms 39:4 303:8 formula 378:12 Fort 239:10 forth 212:17 320:18 fortunate 9:10 Fortunately 322:4 Forum 199:2 forward 9:9 11:17 29:11 32:9 51:3 56:4,20 57:17,19 58:11 60:10 61:3 61:9 64:13 83:17 130:5 138:14 148:11,16 149:3,9 178:4 189:10 190:19 208:4 216:18 217:17 257:17 260:6 262:19 279:20 298:14 301:9 305:1 318:7 326:1 339:20 350:3,21 356:12 367:1 391:22 for-profit 307:11 fossil 94:5 195:11 242:15 fossil-fired 344:14 foul 122:14	found 12:22 60:18 72:9 131:20 132:11 137:8 147:12 155:11 156:8,15 157:5,12 157:14 210:14 239:22 foundation 2:22 5:21 84:16 192:11 345:8 352:22 355:16 four 13:10 51:1 137:11 139:6,14 139:16 147:11 173:13 326:4 328:17 343:22 387:5 fourth-generation 282:19 four's 214:3 fraction 289:12 290:4 313:19 314:20 fractured 360:20 fractured-up 360:21 fragmented 364:6 framed 415:21 framework 18:3 23:17 35:9 45:13 187:11 230:17 310:16 312:21 313:3 315:17,19 France 14:20 19:17 82:8 101:7 115:6 126:7 132:19 144:3 160:21 163:9 205:8 208:5 208:7 248:15 253:21 284:15 frankly 125:5 275:4 348:11 Frazier 2:2 3:2 6:3 62:10,21 165:1,3 165:10 287:3 free 17:17 24:17 187:2 351:6
---	--	---	---	--

freeing 194:11	45:16 46:3,4,9	188:1,2,5,7,12	fully 52:8 53:3	190:8 201:11
freely 72:11	48:4,5,22 50:10	190:4,10,17	55:22 153:13,14	202:2 212:6
free-market 224:19	51:8,9,16,18 52:5	191:15,18 192:4,9	fully-operating	220:16 231:12
329:3	53:8,21 54:5,7,13	192:10 196:21,22	246:4	260:10 300:9
free-rider 100:1	54:20 55:1,5,14	198:7,8 199:15,17	fun 414:15,16	316:3 318:22
French 71:18	56:4,5,8,13 57:15	200:7,8,17 201:22	420:17	321:20 331:4
101:12 160:21	57:22,22 58:4	202:5 203:7,12,17	function 76:9	363:14 369:2
253:21 278:9	59:10,14,19 61:12	203:19 207:4,13	176:17 177:4	380:3,4,12
283:6 284:17	63:18 64:9 65:15	207:19 210:10,11	419:22	
411:4	66:8 67:4 71:21	214:15,20,21	functions 269:7	G
frequently 335:12	74:9 75:2,14,19	224:2,3 238:3,3	fund 31:18 55:2	GA 175:2 239:17
fresh 14:2,9 45:12	76:6,10,15,16,19	253:2 255:11,13	240:7 267:18,20	240:6
54:21 118:3	76:20 77:7,10,15	255:17 256:3	268:18,20 314:16	gain 9:14
121:13 146:20	79:6,9,22 80:22	257:1 259:12,17	fundamental 18:17	game 263:3 267:22
friend 28:6 141:11	82:17 83:4,7 84:4	260:6,16 268:6	203:2 204:8	310:4 365:18
154:4	84:19 86:15,17	277:6 282:17,17	229:20 255:7	gas 41:1 94:6 95:9
friendly 136:19	87:2 88:9 90:2,13	298:1 303:12,13	403:4	95:11 96:4 155:6
friends 28:10	91:5 92:21 94:5	319:20 345:17	fundamentally	156:1,7,9,19
front-end 36:11,21	98:13 110:9,13,19	347:17,22 348:2,3	237:16 401:17	157:2,6 170:1,10
37:3 130:2 349:2	111:6,10,12	348:18,18,19	funded 191:3	171:5,12,16 172:4
frugal 304:20	112:17,19 114:8	357:14 367:3,14	240:13	172:9 196:19
fruit 146:5	114:17,19 115:5,7	393:20 394:20	funding 43:2 44:12	200:6 224:4,10
frustrating 110:21	115:16,20 116:4	395:2 396:1,4,7	58:17 79:18 200:2	239:17 240:13
137:9	116:17 118:3	416:3,16,17 418:2	240:9,10 257:21	258:5,19,22
frustration 394:11	119:16 120:11,16	fueled 206:22	268:13 304:6	259:10 276:12,15
fudge 399:19	121:4,6,13 127:10	fueling 94:1,12	370:12	276:20,22 277:1,2
fuel 1:4 3:9,13 4:2	127:21 129:16,22	fuels 44:7 45:13	further 6:7 32:9	310:12 387:7,18
6:4 7:6,15 8:9	130:20 131:1	48:21 93:21,22	53:15 80:16 115:1	419:16
9:16,19,22 10:4	132:18 136:7	95:6 111:8 153:7	115:11 139:21	gasoline 199:15
11:6 12:8 13:3,6	143:22 144:5,13	195:11 199:14	146:15 190:8	388:7,17 389:2
13:17 14:2,4,9,12	146:2,20,22	200:8 367:6 420:6	260:4 331:17	gas-cooled 238:21
15:7,21 17:3 18:6	151:11,20 152:20	fuel-burning 77:14	365:14 374:10	240:8 420:5
18:7,19,20 20:12	153:12 158:7	fulfilled 346:11	380:12	gas-fired 387:6
20:16,17 21:7,8	160:16,18 161:3,7	full 21:3 29:1 32:1	furthered 257:14	Gates 220:8
21:15 22:20,22	161:12 166:6,14	36:17 55:13	furthest 371:21	GDP 193:20 321:6
23:15,18,21 24:5	166:16 168:4	237:17 247:4	fusion 113:10	GE 3:14 8:12 25:10
24:12 26:6,22	169:4,10,10 170:4	266:8 347:17	future 1:1 6:6	25:16 26:9,10
27:18,21 28:9,14	170:5,22 171:2	Fuller 2:3 3:14	20:21 25:1,19	127:4 205:8 300:4
28:16,19,22 29:2	172:12 173:4,6,8	8:12 25:10,12,15	27:5,14 41:22	300:16
29:5,7 31:17 32:5	173:19 174:4,5,10	39:13 82:21 83:2	43:17 45:10 46:1	geared 312:3 330:8
33:22 34:4,16	175:11 176:3,8,12	83:6 84:14 92:19	47:4 54:6 57:3	gee 181:21
35:6,21 36:4,6,7,9	176:13,17 178:8	93:2 94:7,16,20	70:12,18 95:2	GEH 26:13
36:12,15,21 37:9	181:5,6,9,11,12	95:1,5,9 96:5,17	96:8 104:6 128:11	general 2:3,6 4:5
37:12,14 38:1,5,9	181:15 182:4,15	97:2 122:19 123:1	129:8 144:1	40:16 84:1 109:20
38:13,15,21 39:1	182:15,16,21	123:12 125:15	145:13 151:8	111:15 112:1
39:15,21 40:12	183:5 185:14	127:2,16 141:18	158:10 169:16	119:6 167:12,19
42:7,11,18 45:3	186:20 187:4	148:7 283:19	171:9 178:4 188:9	168:21 175:2

217:6,13 278:3	generically 292:20	212:19 237:13	143:8 146:11	119:7,10,14
296:9 313:12	gentleman 203:22	253:4 254:13	147:8 149:8	120:17 125:6
391:20 413:22	370:14	267:5 268:5,10	151:20 152:12	127:11 130:22
generally 170:6	gentlemen 133:21	303:3 320:13	176:1 178:11	131:3 132:4,5,6
189:6 230:15	256:16 261:10	327:2 347:2	202:22 207:9	135:18 136:3
398:3 404:20	Gen-4 199:2	361:12 367:18	215:16 216:4	138:9,14 140:14
generate 26:4	Geoff 209:5,5	411:5	234:1 246:2	140:15 141:3
40:11 43:6 70:8	233:14 237:21	given 48:8 82:5	248:18 249:1	142:1 144:18
276:19 392:16	284:13	104:15 107:10	255:2,3 266:11	148:20,21 149:12
402:22 408:7	Geoffrey 2:14 4:21	161:1 280:3 341:4	271:7,16,22 274:7	151:20 152:7
generated 145:6	geolocation 404:9	352:11 362:2	280:14,18 288:12	155:13 156:22
219:4 289:7 368:5	geologic 14:14	365:4 374:2	292:13 300:22	159:13 160:11
generating 29:7	15:18,21 16:4	400:16 406:7	301:21 318:9	162:3,21 163:3,4
30:11 161:12	58:1 67:6 70:1	409:3 421:5	333:3 334:12	164:21 165:11,14
289:4 330:16	88:8 91:15 120:18	gives 17:8 61:9	349:21 351:13	165:15 201:7
generation 30:19	210:12 352:2,9,14	83:9 112:18 174:3	355:6 356:2,4	203:4 206:17
65:20 83:14 94:17	352:21 353:2	176:3,8 180:1,1,2	390:14 395:14	208:3,20 211:21
95:21 98:1 108:14	354:8 355:10	216:8 384:10	402:6 404:1,2	213:3 216:18,22
108:17,19 175:12	357:21 358:4,7	giving 32:16 61:22	405:2,3,4 412:11	219:22 227:13
180:17 186:8	359:10 376:13	140:17 167:17	414:9	229:13 231:13,14
218:5 231:8,15	377:2	169:12 308:5	goal 16:11 37:18	231:16 232:1
245:19,20 274:10	geology 57:4	glad 73:17 323:14	39:8 44:7 127:1	242:9 246:19
274:11 275:18,22	George 320:17	393:12	129:19 191:21	249:2 251:16
284:8 287:19	germane 415:6,11	glass 16:1,19 17:1	230:20,21 260:12	252:8,8 254:19
299:7 324:12,19	Germany 208:11	101:7,9,10 102:5	412:21	256:19 263:20
340:21 343:11	GESMO 77:2	126:7,9 132:19	goals 7:21 44:11	264:10 265:11,18
344:15,16 362:13	gestation 261:4	134:3 135:3	50:17 80:15,17,19	267:13 269:17,20
363:19 382:2	getting 46:8 103:4	global 26:10,15	80:21 81:1 82:17	269:21 272:1,1
386:6,22 387:3,4	203:19 204:7	56:10 160:10	82:19 87:9 106:4	275:6,12 277:8
387:6 393:10	232:14,21 264:15	193:11 195:6	167:1 169:21	278:15 282:13
399:14 420:3	266:2 272:6	233:18 238:12	193:11 247:14	283:4,5,6,9,10,11
generational 127:6	277:14 295:8	247:18 248:19	261:11 289:1	283:12 287:5
generations 27:14	309:3 352:8	250:6,18 277:21	296:18	289:13 290:17,18
70:12,19 107:8	364:15 409:7	280:16 281:3,5	goes 75:5 95:17	291:18 298:20
Generation-3	410:16	282:8	106:19 114:17	299:15 309:20
27:13 34:9 113:21	giant 159:13	globally 205:19	174:15 236:13	310:2 311:20
230:13,14	gigantic 159:15	206:5,6	348:19 353:8,8,9	313:1 314:8,19
Generation-4 29:6	gigawatt 207:1	glovebox 209:16	374:16 379:22	319:3 324:20
188:16 190:9	272:13 275:1	gloveboxes 120:7	409:4 416:5	326:1 328:7 330:3
191:16 209:19	gigawatts 382:7	GNEP 49:4 53:4	going 6:7 12:20	331:9 335:16
230:14	gigawatt-size 186:4	GNETP 209:20	20:9 22:19 29:11	339:19 343:7
generator 196:20	give 21:22 25:7	go 15:21 22:7,9	32:12 47:6 61:3	344:15,17,20
generators 185:3	46:20 48:9,12	47:16 63:1,10	63:17 76:17 77:20	345:16 346:6
387:6 409:14	80:11 123:12	80:18 82:5 83:22	79:1 83:11,16,22	347:10,14,15
generic 308:2	126:3 139:3	83:22 91:14 95:11	87:14 89:8 92:13	348:8 350:3,11,13
309:8 310:1	146:16 157:14	110:1 117:5 126:9	99:1,3 105:7	351:10,11 359:3
316:22	162:4 209:12,17	130:5 132:15	109:15 113:20	360:7 364:20

368:14,19 371:19 372:13,15 373:10 374:9 375:20 377:17,18 381:6 381:17 382:5 383:7,7 385:8,9 397:15 398:13,20 403:14,15 405:10 405:20 407:20,21 408:14,15 409:7 410:11 413:9 417:19 418:19,20 goldplate 108:6 good 6:22 22:7,8,11 25:14 32:20 74:3 84:11 112:3,7 125:8 141:11 148:17,17 149:13 149:22 150:9 160:3 164:6 178:19 205:12 233:7 238:6 242:3 242:14 249:10 259:2 264:14 269:15 300:20 318:15 327:10 330:5 345:4 352:4 355:15 363:9 367:17 368:6 370:1 392:15 403:9 goodness 137:4 gotten 96:21 375:18 govern 69:22 governance 269:9 governed 351:6 government 19:2 26:7 36:14,16 43:10,12,19,22 44:8 51:6 55:2,5,7 58:17 59:11 61:4 67:3,8 79:1 81:14 81:18 82:3,4 83:19 86:13 87:4 92:11,12,17 93:3 93:20 95:18 96:12	97:6 99:2,5 106:3 108:8 145:17 177:15,17 178:1 190:21 201:21 203:15 204:4,5,17 205:5,11 211:3,7 211:12 212:8,11 214:19 218:11,16 221:17 228:5,6,22 232:2 248:3,17 249:6 252:15 253:8,21 254:7 256:6 257:21 268:3,17 272:4 288:19 293:16 294:13 295:3 306:22 309:16 327:12 329:13 346:1,2,6,11 347:5 348:12 349:5 350:22 351:16 352:1,11 354:11,16 355:12 355:17 362:16 363:4 366:17 367:5,16 370:9 372:10 377:13 385:2 394:11,17 395:4,18 396:5 409:10 government's 30:3 213:1 355:8 363:11 379:9 395:6 government/indu... 294:16 Governor 74:12 go/no-go 404:18 grade 180:6 236:12 236:15,18 334:22 Grand 295:18 grandchildren 149:5 151:7,8,22 153:2 grant 384:9 granted 102:4 grants 365:22	366:1,4 graph 290:2 gravity 105:14 great 34:12 46:13 49:9 111:19 117:7 134:14 148:2 156:17 246:1 250:3 285:19 303:3 330:6 337:1 339:6 340:4 367:22 374:7 383:8 384:17 greater 29:17 35:12 37:21 38:15 43:21 67:12,14 76:7 90:4 106:3 110:18 119:15 170:11 211:2 364:17 greater-than-Cla... 66:1 greatest 156:3 321:10 greatly 137:3 304:2 314:6 greenfield 242:13 grew 179:2 184:1 209:13 grids 281:12 grips 364:8 ground 17:7 155:7 156:8 237:4,5 240:22 401:16 group 4:15 9:12 34:6 302:6 304:16 317:9 324:22 335:18 339:8,11 405:13 407:18 408:12 groups 325:1 401:22 grow 35:4 growing 21:15 41:17 84:17 173:20,21 185:12 193:13 214:7 373:18	grows 30:18 176:14 176:16 180:17 181:2 growth 186:14 200:13 358:14 381:21 398:17 guarantee 291:17 299:17 332:11 340:18,19,22 341:10,14,19 342:3,6,11,18 349:13 362:9 363:10,12,22 365:11 372:1 374:6 375:6 408:1 408:9 409:9,22 410:8 411:15 guarantees 95:18 294:2 297:9,16 306:4 343:4,7 359:17 360:4,15 361:3,12,14,17,21 365:10 366:4 372:22 406:8,20 407:11 guards 323:1 guess 7:3 154:18 156:1 160:22 174:17 205:16 232:11 241:7,20 248:7 249:15 266:11 279:22 280:6 319:12 326:14 387:20 406:22 guesswork 257:12 guidance 186:2 guided 406:20 guinea 280:21 gulf 295:18 324:9 guy 139:4 155:2 guys 238:21 275:16 320:18 <hr/> H <hr/> half 180:21 362:19 362:20	half-life 78:15 123:20 135:16 halt 405:21 halving 198:13 hand 74:4 201:22 202:18 262:6 283:11 handed 210:2 handing 210:3 handle 40:3 85:12 159:18 handled 38:17 416:4 handling 41:8 120:6 396:7 hands 159:5 162:19 209:16 350:8 Hanford 49:18 Hanson 2:2 3:12 8:8 12:7,11 21:19 21:22 22:8,15 72:15 81:4,5 90:10,20 91:4,9 91:13,18,21 92:1 97:10 98:10 112:22 113:1,4,5 113:6 114:6 124:22 125:15 132:16 149:15,22 160:13 161:13 205:16 happen 96:4,5,6 206:17 249:11 282:15 347:14 351:21 358:11,12 366:19 392:2 394:20 happened 155:1 373:14 394:21 happening 101:4 157:20 361:15 395:8 398:18 417:1,7 happens 120:11 217:20 259:12 happy 25:3 75:6 254:11 325:22
--	--	---	---	---

hard 225:3 330:14 371:11	heat-producing 80:1	258:4,12,21 259:9 274:13,17 276:11 289:18,19 389:22 419:15	historical 104:15 197:18 249:17	385:14,16,17,18
hardened 79:22 129:5	heavily 201:21	higher 90:19,22 107:6 119:4 206:2 257:20 339:3 344:14 353:13 390:1	historically 186:6 206:8	hourly 329:19
harder 100:20	heavily-regulated 100:13	highest 34:22	history 13:7 96:20 104:3,9,10 144:2 192:5 206:9 265:15 266:8 267:15 302:9 305:14 352:11	hours 194:21
Hargraves 2:9 4:15 178:14 193:9,10 200:21	heavy 170:6 175:5 214:5 300:21 370:3 388:18	highlighted 31:10	Hitachi 2:3 3:14 8:12 25:10,16 26:9,10 296:9 300:5,16	house 30:17 369:8
harm 404:2	help 9:14 20:15 27:10 32:2 38:20 53:9 63:15,19 80:22 82:18 88:11 90:11 109:11 138:16 140:10 185:22 191:6 193:2 222:11 225:14 247:14 249:11 264:11 298:20 300:22 328:21 344:6,18 400:4,11	highly 11:2 16:20 23:16 64:1 258:13 360:20,21	holding 188:1 411:18	houses 30:9,10
Harvard 320:10	helped 141:21 186:2 206:8 301:14 306:2,22	highly-regulated 10:19	holds 16:19 332:12 339:6 340:4	huge 51:15 101:21 116:3 182:5 207:5 225:22 237:3 238:15,15 268:11 281:3,3 337:9 366:4 397:6
hate 156:14 389:19	helpful 216:7 230:3 245:12 356:16,19 408:10	highly-skilled 26:14	hole 144:14 237:4,5	human 169:15
hazard 158:15	helping 154:13 250:4 260:4 324:18	highly-stable 16:1	holes 156:6	hundred 132:22 134:3 377:8 385:16
head 51:13 208:21	Henry 102:3	highly-unrealistic 144:12	Hollywood 129:3	hundreds 16:21 68:12 69:16,16 70:14
headquartered 26:12 364:12	Heritage 2:22 5:21 345:7	highly-valued 27:1	home 20:10 28:1 397:19	hung 369:15
heads 124:9 307:16 307:18	helps 16:8 92:4 262:14 289:10 327:15	highway 170:16	holding 188:1 411:18	Hungary 208:14
head-end 54:18	hesitating 290:1	high-carbon-em... 275:22	holds 16:19 332:12 339:6 340:4	hurdles 405:4
head-in 117:2	hesitation 290:11	high-duty 239:8	hole 144:14 237:4,5	hydrocarbon 96:2
health 11:11 64:7 70:22 139:2 401:21	hides 141:14	high-flux 77:19	holds 16:19 332:12 339:6 340:4	hydrogen 199:13
healthcare 328:3	high 41:9 68:9 71:16 117:16 120:2 155:22 156:22 170:10 172:3,7 193:10,21 194:5 197:3 198:10,11 200:5 201:15,18 238:6	high-heat 197:3 198:9	hole 144:14 237:4,5	
hear 6:21 73:10,18 115:22 119:7 207:17 208:8 270:8 278:10 350:19 412:17	high-level 14:5 40:14 41:7 49:15 65:19 71:10,19 75:15 76:4 78:3,7 126:9,12 136:17 157:18 210:11 377:19 379:11	high-valued 27:1	holes 156:6	I
heard 64:15 65:21 91:16 96:10 151:18 208:2 308:7 373:3 391:19 420:1	high-risk 228:9,20	highly-skilled 26:14	Holly 129:3	IAEA 17:17
hearing 6:20 9:9 27:3 150:13	high-speed 172:8	highly-stable 16:1	home 20:10 28:1 397:19	ICBMs 195:22
heart 351:4 383:3	high-technology 251:5	highly-unrealistic 144:12	hon 123:2 141:19	Idaho 10:7 131:19
heat 16:6 52:13 68:19 76:9,9 112:18 114:17 115:2,4 136:8 142:18 143:1 171:15,17 180:8 195:17 196:18 276:15,19 315:1,5	high-temperature 170:1,10 171:4,12 199:11 258:18 276:14 277:2	highly-valued 27:1	honor 123:2 141:19	idea 63:15 174:3 176:4 181:1 196:22 205:12 209:12 232:12 245:16 253:4 271:4 280:22 292:11 315:10 327:1 349:16 367:22 368:7 375:22 392:1 402:15 410:21 418:10
heating 194:18	high 41:9 68:9 71:16 117:16 120:2 155:22 156:22 170:10 172:3,7 193:10,21 194:5 197:3 198:10,11 200:5 201:15,18 238:6	highly-valued 27:1	hope 56:9 73:8 137:19 151:7 168:8 215:21 301:21 327:1 415:15	ideas 53:3 145:11 145:12,15,19 204:21 320:16 391:19 395:11
heats 196:19	high-speed 172:8	highly-unrealistic 144:12	hope 56:9 73:8 137:19 151:7 168:8 215:21 301:21 327:1 415:15	identical 273:10
heat-limited 16:5	high-temperature 170:1,10 171:4,12 199:11 258:18 276:14 277:2	highly-unrealistic 144:12	hopeless 139:12	
	high 41:9 68:9 71:16 117:16 120:2 155:22 156:22 170:10 172:3,7 193:10,21 194:5 197:3 198:10,11 200:5 201:15,18 238:6	highly-unrealistic 144:12	hoping 317:5	
	high-risk 228:9,20	highly-unrealistic 144:12	Hopkins 210:6	
	high-speed 172:8	highly-unrealistic 144:12	horizons 44:2	
	high-technology 251:5	highly-unrealistic 144:12	host 58:22 59:2,6 102:19 280:17 281:1 361:17	
	high-temperature 170:1,10 171:4,12 199:11 258:18 276:14 277:2	highly-unrealistic 144:12	hot 120:6 207:10	
	high 41:9 68:9 71:16 117:16 120:2 155:22 156:22 170:10 172:3,7 193:10,21 194:5 197:3 198:10,11 200:5 201:15,18 238:6	highly-unrealistic 144:12	hour 269:19 384:8	
	high-risk 228:9,20	highly-unrealistic 144:12		
	high-speed 172:8	highly-unrealistic 144:12		
	high-technology 251:5	highly-unrealistic 144:12		
	high-temperature 170:1,10 171:4,12 199:11 258:18 276:14 277:2	highly-unrealistic 144:12		
	high 41:9 68:9 71:16 117:16 120:2 155:22 156:22 170:10 172:3,7 193:10,21 194:5 197:3 198:10,11 200:5 201:15,18 238:6	highly-unrealistic 144:12		
	high-risk 228:9,20	highly-unrealistic 144:12		
	high-speed 172:8	highly-unrealistic 144:12		
	high-technology 251:5	highly-unrealistic 144:12		
	high-temperature 170:1,10 171:4,12 199:11 258:18 276:14 277:2	highly-unrealistic 144:12		
	high 41:9 68:9 71:16 117:16 120:2 155:22 156:22 170:10 172:3,7 193:10,21 194:5 197:3 198:10,11 200:5 201:15,18 238:6	highly-unrealistic 144:12		
	high-risk 228:9,20	highly-unrealistic 144:12		
	high-speed 172:8	highly-unrealistic 144:12		
	high-technology 251:5	highly-unrealistic 144:12		
	high-temperature 170:1,10 171:4,12 199:11 258:18 276:14 277:2	highly-unrealistic 144:12		

identified 65:12 66:22 71:8 212:18 310:1	importance 189:9 417:10	10:18 36:21	income 193:17 194:15	industrial 20:19 82:11 162:6
identify 44:18 58:18 89:5 188:3 212:8 213:7 320:14 414:6	important 9:18 21:16 56:6 57:12 59:9 69:2,20 80:20 81:8 82:16 84:18,20 85:1,7 85:13,16 86:9,11 86:12 87:5 100:10 104:22 106:1 112:3 114:10 153:7 164:9 169:15 183:6 194:17 216:16 244:20 248:21 249:14 258:6 283:14 284:1 292:4 293:2 294:1 294:7,20 297:2 301:7 304:19 305:22 318:21 322:4 329:6 331:14 340:20 350:6 352:16 357:5 359:18,22 366:6 392:11 396:14 408:2 415:2	improvements 14:18 37:2 108:14 109:9	incomes 194:5	187:11 250:5 398:14
IEA 309:20	impress 139:12 267:4 388:18 412:12	improves 30:22	incorporate 184:10	industrial/comm... 81:16
if's 128:19	impressions 234:12	improving 103:19 103:20 145:2,3 203:17 253:1 255:11,20 392:19	incorporates 58:12	industries 103:13 171:16 246:18 285:1 302:6
ignorances 125:12	improve 21:10 39:1 107:7 110:13 146:21 153:22 154:1 195:4 200:11 243:4 244:16	inability 118:20	increase 43:19 52:21 64:10 66:4 69:9 70:21 72:22 114:17 121:7 143:1 168:7 169:8 199:20 203:11 289:14 387:12	industry 22:9 26:1 26:7,16 33:9,15 36:8 39:17 42:1 43:7,7 44:10 45:6 57:2 59:11 96:20 103:18 106:5 183:2 184:4 185:15 188:18 189:11 190:8,12 191:15 192:12,16 193:2 199:4 203:14,21 204:20 214:19 218:6 223:8 224:14 225:4 226:3 228:7 228:8 231:4 232:3 233:19 246:19,19 248:9 250:2 253:16 254:5 259:22 260:1,22 261:7 267:9 268:12 270:9 271:15,19 273:21 274:2,22 275:9 276:17,18,18 277:20,21,22 278:11 282:14 284:10,22 285:3,7 285:8,11,13 290:1 296:18 304:11 305:4,15 306:1,16 309:6,16 319:6 321:3,19,22 324:5 327:7 331:9 332:18,20,20 334:17,18,20,22 335:1,3,7,11 336:6 337:4,17
illuminating 137:3	improved 35:6 119:16	inadequate 253:5	increased 44:12 64:7 111:9 115:2 185:9	
illustrate 201:8 328:1	improvement	inapplicability 279:16	increases 108:1 289:16 358:16	
imagine 374:20		incentive 347:7 365:6 370:2	increasing 257:2	
immediate 234:13		incentives 36:20 39:6 59:1 287:12 288:16,18 294:1 297:8 329:14 343:8 349:8 353:15 366:16 383:10	increasingly 185:11 393:1	
immediately 214:9 214:10,11		incentivize 107:15	incredibly 105:20 134:17	
immersed 237:1		incentivize 11:1 294:14 367:8	incremental 186:12 187:2 190:6,16 244:5 395:5	
impact 51:15 66:20 71:3,9,16 81:2 82:19 87:18 217:2 391:13,15 396:21 413:12		Incentivizing 5:2 287:7	incrementally 189:17	
impacts 52:19 292:18 412:22		include 30:8 34:1 40:22 64:3 65:22 76:2 186:7 199:21 315:1 353:22 399:17 416:17	increments 187:17	
impediment 83:3 83:12 223:6 364:17		included 16:17 340:11 344:4	incur 64:2 70:21 409:11	
impediments 223:9 229:8 241:18		includes 13:4 20:12 20:14 31:19 43:1 43:15 53:21 60:13 187:22 192:17 221:13 408:6	incurring 395:6	
imperative 23:11 44:22 190:16		including 7:12 11:9 29:13 36:4 39:3 50:8 64:14 123:16 166:13 184:15 185:2 192:4,17 207:21 352:14 400:17	independence 185:9 194:12	
implement 15:3 39:18 97:5			independent 24:16 197:17 270:16 332:18	
implementation 67:9 113:11 341:18			India 19:19 208:6	
implemented 52:8 86:3 103:2 111:2			Indiana 184:16	
implementing 64:13 69:3 126:14			indicate 71:18 118:4 313:6	
implication 97:15			indicated 40:10 72:20 401:3	
implications 102:19 379:7			indication 17:9 61:9 197:17	
implies 172:6 282:16			individual 298:15 305:13 364:10,11	
import 227:13			inducement 60:7	

341:6 355:4,5 360:21 362:3 364:7,16,18 365:6 366:13 381:10 382:15,21 383:1,3 391:9,21 392:9 394:16 395:5 398:4,6 399:2,21 402:10 industry's 10:11 189:17 192:22 394:10 ineffective 40:8 65:2,13 inefficient 221:5 inexhaustible 197:9 200:17 inflation 387:13 influence 7:14 10:4 50:10 89:11,15 166:15 inform 327:21 informal 324:4 information 12:15 116:22 216:9 227:4 326:16 327:22 356:14 401:20 412:9 infrastructure 26:15 145:10 182:22 186:19 187:12 218:13 242:19 243:1,20 245:18 271:8,16 274:6 323:2 inherent 267:12 290:12 inherently 172:14 258:9 inhomogeneity 118:20 initial 5:13 71:21 76:1,9 78:1 95:3 217:19 244:19 335:18 339:8 407:18 initially 58:20	410:9 initiated 294:6 initiative 57:20 58:16 59:4 308:16 initiatives 58:13 340:16 innovate 84:7 148:10 185:15 innovating 184:1 innovation 10:18 11:1 26:2 27:10 33:20 34:7 44:20 46:14 103:16 106:17 148:9,12 148:20 187:3 329:9 348:7 innovations 328:22 inquire 80:8 inside 101:20 179:16 180:10 244:9,10 insight 139:3 insights 146:15 inspection 316:9,11 316:13 instability 331:12 installed 184:9 251:6 installing 199:7 instance 49:3,13 53:17 54:4 90:1 131:17 146:10 391:14 instances 335:10 Institute 2:9 4:14 10:11 381:15 Institute's 386:1 institution 268:1,4 268:4,8 institutional 267:5 267:7 institutions 275:3,4 instrumental 340:13 instruments 412:15 insurance 297:11 314:2,4,6 343:18	410:4,6 411:9 integral 121:12 integral-effects 279:18 integrate 85:2,22 129:22 153:19 integrated 13:2 20:11 24:5 45:3,7 51:8 54:6 56:7 58:14 59:14 60:4 86:2 105:17 121:11 284:22 285:1,2,7,8,11,13 integrating 115:15 integration 39:16 188:10 intend 76:5 246:4 292:11 intended 196:6 292:1 369:13 370:4 411:18 intense 248:3 intensive 334:17 intent 305:4 intention 115:6 interaction 241:22 interest 9:11 40:20 50:20 132:22 192:15 218:22 225:12,13 226:2 227:9,18 248:3,18 249:7 263:1 304:16 310:21 318:7 346:4,18 349:1 397:10 interested 96:10 112:8,15 145:19 173:5 233:16 235:20,22 295:2 309:2 interesting 101:3 253:3 302:7 380:18 381:9,12 395:12 intergenerational 69:22 70:5,17 71:4 151:6 152:9	152:17 intergenerational... 151:12 interim 13:4 24:6 46:5 55:15 59:15 127:22 158:2,3 161:11 188:6 232:19 311:5 317:2 393:20 396:2 intermediate 395:9 internal 117:17 internally 284:11 international 18:3 18:22 19:10 35:18 110:18 199:2 248:6 251:14,20 255:5,12 internationalizing 110:9 111:12 internationally 20:8 34:20 247:22 250:22 255:20,21 interrelated 290:13 interrupt 256:8 Interstate 155:9 interstate-regula... 155:9 intervene 228:22 intervention 156:5 156:13 157:12 264:17 intriguing 395:12 Intrinsic 198:4 introduce 8:6,7 12:5 167:9 180:16 209:8 213:10,11 274:15 288:7 312:5 351:5 introducing 108:21 183:4 invaluable 41:13 invented 14:16 101:7 256:11 inventive 306:1 inventories 68:17 69:6 70:16 71:4	131:22 143:16 144:2 inventory 64:22 65:14,15 68:14 69:8,12,17 132:1 163:14 170:5 182:2 207:6 invest 38:22 97:20 105:22 280:13 387:10 invested 157:7 319:11 376:1 investigate 405:15 investigating 74:8 295:3 investigation 139:21 investing 34:10 40:11 45:17 investment 10:2 11:2 35:14 38:18 43:19 106:4 186:18 223:12 224:9 291:19 303:2 304:4 334:21 336:11,13 339:18 340:2 341:5 343:13 382:18 384:19 408:16 investments 40:9 41:12 42:8 44:3 227:7 307:8 338:21 387:10 investors 233:5 335:1,1,5 339:10 339:13,21 392:21 393:11,19 394:7,9 394:15 395:16 invitation 12:14 332:6 invited 7:22 9:13 inviting 345:13 involve 245:6 involved 44:14 99:4 100:5 212:2 228:1 288:20
--	--	--	--	---

291:10 316:2	issues 9:15 10:13	January 308:4	289:12 387:11	know 7:9 21:2,2
369:19 374:14	10:14 17:22 37:6	Japan 14:20 19:17	392:11 413:21	22:17 23:1,2 56:9
377:13	38:7 44:19 45:9	97:9 132:20 144:5	keeping 87:18	57:15 68:10 77:3
involvement	56:11 77:1 97:6,7	208:5 271:12	134:18 289:17	94:14 105:15
218:11	99:10,22 103:11	374:19 375:2	Kelly 2:19 5:14	109:18 113:5,5
involves 103:3	114:12 142:9	Japanese 28:11	307:16,19,20	114:1 116:13
167:21 174:8	143:19 153:19	92:20,20 159:9	317:10,13,16,22	121:11 124:21
395:21	167:21 168:21	278:4,9 279:3	318:3 372:6	125:10,20 129:9
involving 63:18	169:2,19 172:2	JAPC 93:5	419:21 420:10	129:11 139:13
178:3 266:14,14	177:19 182:22	jet 195:18	kept 310:11 405:20	140:3,7,12,20
iodine-129 78:8,11	183:1,1 228:1,20	Jim 333:1 362:4	Kerry's 344:5	143:15 146:11
78:14,17	229:1,2 233:2,6	379:22 380:10	Kervern 407:3	150:9 153:16
iodine-131 78:15	236:2 237:3	390:21 399:9	key 18:1 26:7 54:4	157:8 159:10,14
irrefutable 140:12	240:18 241:3,15	406:5 409:20	54:13 57:10 60:15	159:15 182:16,18
irrelevant 136:13	245:13,17,22	job 237:15 264:14	61:11 95:2 148:4	183:6 212:15
irrespective 282:18	255:2,3 256:8,20	269:15 308:10	169:2 196:21	214:8 219:4 231:3
292:9	256:22 260:7	417:2	233:2 282:7	234:12 237:12
irretrievable	263:13 267:5,7	jobs 23:4 35:19	298:12 336:1	238:22 246:7
120:20	269:9 276:2,3	227:13 249:12	350:4 353:20	252:19 261:14
Island 237:22	283:18 286:10	jobs/export 249:8	355:11 403:1	266:22 267:11
Isolation 133:4	293:3,10 308:2	John 2:6,19 4:5	keys 263:7	269:22 270:20
isotopes 16:8 90:22	309:4,8,22 310:2	5:14 167:10	kick 216:4	271:22 272:17
issuance 301:20	310:6,7,15 311:11	201:12 227:19	kill 355:4	307:4 312:11
issue 56:6,14 57:10	311:19 313:12,14	238:18 256:10	killer 324:21	321:18,21 330:21
63:8 83:4,5,6,18	316:1,22 317:3,6	307:15 356:12	kilograms 144:10	347:10,13,14
86:18 88:19	339:14	371:8	kilowatt 201:17	348:16 352:6
100:11 102:7	issue-focused	Johns 210:6	202:13,16 223:5	353:4 368:2 371:1
103:10 106:20	310:10	joining 345:6	384:8	373:2 374:12
107:3 121:5 122:9	items 31:9	joint 185:4 407:5	kind 95:20 131:10	377:5,9 378:15
124:18 129:6	iterations 118:7	Jordan 283:5	232:18 238:20	379:7,13 380:7
137:8 138:6 148:5	i.e 57:2 368:5	judge 155:8 259:16	245:16 250:10	387:17 391:20
151:5,15,16		judged 329:11	264:5 302:16	402:13,19 403:14
152:10,10,17	J	judgment 64:10	314:9 375:22	403:15 404:19
153:9 155:5 169:6	Jack 2:3,22 3:14	203:2 405:19	376:1 380:5	406:6 407:6 411:7
209:11 216:16	5:21 8:11 25:9,15	jump 238:19	381:17 382:12	415:14 418:22
220:12,19 225:20	39:13 125:15	406:19	386:18 406:5,17	knowledge 41:21
226:8 245:10	141:15 283:19	June 317:4	kinds 85:2,4 97:20	162:13 199:4
246:7 248:21	345:6 357:2	justification 407:1	132:7 245:20	228:2 323:2
255:1 257:1 265:9	367:10 395:11	justified 277:11	267:8 281:10	knowledgeable
273:21 280:12	Jackson 2:4 3:17		382:6 403:21	9:12 162:9
281:5 282:15	8:15 32:13,18	K	404:11 407:6	known 173:13,14
284:1 313:14,20	33:3 47:7,14	K 5:19	Kingdom 132:20	211:19 212:9,11
318:21 327:13	84:12,13 103:17	Kate 2:4 3:17 8:14	144:7 208:12	267:2
334:10 378:15	129:14 130:16	32:13 103:10	knew 157:8	knows 322:15
393:12 398:3	131:2,5 152:16	keep 8:1 33:4 43:12	knock 381:21	366:2 411:7
issued 213:15,19	James 2:21 5:19	80:6 112:4 149:9	knocked 101:17	Korea 208:16
374:7 375:6	331:22	167:4 274:6 288:1	391:1	217:10 248:14

375:1	largest 275:3 290:5 337:3	282:13 323:11	Leiberman's 344:5	licensed 103:4 291:9 371:17
Korean 283:7	large-break 180:4	leading 54:15 85:6 192:19 332:16	lend 335:3	licenses 316:5 401:13
Koreans 103:6 278:21	large-scale 57:2 81:17 270:20 337:21 364:15,21	leads 195:1 291:3 293:6,15	length 327:13	licensing 34:18 44:16 100:7 101:2 104:7 125:2,4 202:6 213:15 229:12,19 230:4 240:18 241:3,15 254:8,8 280:10 291:5 292:2 293:20 295:22 296:4 302:18 305:3 308:2,21 310:16,17,19 316:22 326:9 336:8 337:22 338:1 356:15,17 376:2 401:9
L	laser 27:15	Lean 228:16	lessons 14:18 41:13 58:12 60:12 104:2 417:1	
lab 73:6 162:5	Lastly 215:12	leapfrog 21:6 22:3 113:20	less-than-desirable 22:4	
labor 23:4	late 62:3 164:20 165:1 269:19 285:22 301:20 311:14	leapfrogging 113:20	let's 63:1 69:18 90:8 111:17 115:21 122:3 124:11 165:3 230:13 242:10 243:9 244:4 288:11 304:22 331:21 345:5 379:17	
laboratories 368:2 398:22 399:1	latitude 82:5	learn 157:17 356:20 361:8	LEU 112:18 174:7	
laboratory 66:16 101:14 162:1 209:21	Laughter 48:13 50:3 74:2 80:12 123:11 134:19 141:2,17,22 147:15 149:21 150:4 160:2,5 247:9 262:2 266:16,19 270:12 273:19 278:18 284:20 326:2 333:10 334:2,5,8 357:10 368:12,21 414:17 415:17 420:19 421:1	learned 14:18 58:12 60:12 104:2 220:13,14 325:7 356:14	level 18:7 27:22 41:10 71:17 75:7 78:2 95:12 108:9 109:5,10 175:4 194:7,22 236:15 283:21 344:1 361:7 362:16 363:3 373:7 374:4 387:13 397:19 403:16 404:14,16 405:20	
labors 194:10	launch 366:12,20 366:20	learning 41:18 198:19 202:14 235:12,13	levels 40:1 120:1 381:2	lies 263:10 322:19
labs 43:5 177:8 309:17	launched 249:22	leave 56:3 57:14 151:11 163:2 164:8,14 350:5 355:18	lever 186:18	life 17:18 27:11 59:5 188:2 198:18 224:5 299:14 333:4 335:8 398:7
lack 121:21 290:15 325:1 397:14	law 104:12 155:15 333:20 340:14 362:8 369:1,13,14	leaves 342:10	leverage 41:20	lifelong 2:9 4:14
lady 372:6	laws 333:6	leaving 121:13 151:21 152:1	leveraged 23:7	lifestyles 199:20
laid 6:17 154:19	layer 101:19 303:11	led 37:16 168:19 179:7 193:16 331:4 340:16	LFTR 197:7,12,15 197:20,22 199:1 199:11 200:3,9	lift 355:5
laminated 101:9	lead 20:7 26:2 40:8 69:5 88:2 108:4 146:14 257:7 260:11 301:18,19 331:6,9 396:6	left 123:20 125:18 147:11 174:5 194:4 196:14 278:2	LFTRs 199:8	lifting 300:21
lamppost 263:9,10	leader 4:15 10:18 33:14 100:14 123:4,4 282:14	legacy 37:14 38:21 45:9 129:16 130:20 131:1 183:22	liable 361:14	light 5:8 28:15 31:21 38:21 40:22 76:20 92:16,21 113:14 114:18 160:16 161:2 172:16 175:5 176:8,21 177:2 179:1 182:12 186:17 187:8 188:15,19,21 189:3,7,19 190:3 190:22 191:14,19 192:3,10,19 202:12,20 206:4 210:10 214:20 223:20 224:3
landscape 185:7 242:4	leadership 32:3 35:10,11 247:18 250:1,5,8,10,15	legal 60:22 67:5 302:18	license 105:14 106:10 213:15,19 280:2,8 291:15 292:1 293:13 295:21 300:11 310:18 312:11 315:18 371:19 403:18	
lanthanide 118:11		legislation 31:14 55:21 56:1 185:8 213:11		
large 20:2,4 21:15 54:16 64:6 86:18 91:15 116:8,16,19 142:22 143:16,20 170:16 172:22 180:14 184:7,20 184:22 186:4 208:22 223:13,14 223:15 224:16 227:7 239:11 241:12 250:10 275:1,13,13,15 312:3 321:15 366:1 371:2 377:6 380:4 383:20 406:1 420:9		legitimate 352:10		
largely 13:17 179:4 341:15 363:19 365:17 398:9		Lego-building 105:5		
larger 39:20 186:10 248:9 281:20 314:19				

230:21 249:19	146:5 150:5	loans 369:20	45:22 83:19 94:3	272:19 273:3
250:16 258:11,13	155:11,13 209:17	375:19	94:4 95:19 104:4	274:8,9 279:4
261:1 277:5	237:13 240:17	LOCA 180:4	105:22 112:17	314:9 416:14
278:22 279:7	248:5 282:3	local 23:5 75:6	127:1 129:21	looks 89:6 104:11
280:8,11 282:16	285:22 300:6	365:2	130:21 138:6	174:4 189:12
288:9 296:5,19	302:11,12,21	locate 60:5	142:6 143:2	263:8
300:17 312:3	303:6 311:20,21	located 30:6 60:2	153:10 154:1	Lorenzini 2:7 4:9
374:16 390:5	319:5 321:14	187:21 418:16	181:22 188:4,16	178:13,18,20,21
419:14,15 420:2,4	323:10 333:13	location 58:8 404:8	191:14,21 203:6	185:16 225:1
lighting 194:18	349:12,12 357:9	locations 16:6 46:5	312:10,13,22	231:14 232:11
likelihood 343:6	370:19 373:15	118:22 281:13	335:5,11 367:18	236:10,17,22
limit 20:15 89:21	374:3 380:2,11,21	lock 247:13	395:1,15 396:7	237:9 238:8,14
102:12 111:20	381:5 387:15	Loewen 123:7	look 9:9 10:12	240:19 244:21
234:19 376:16	388:15 389:2,2	lofty 193:11	11:17 32:8 95:20	248:7 250:9 271:5
limitations 241:11	397:18 399:18	logical 259:3	104:20 115:3,4	272:14,19 273:1,7
limited 253:10	401:8 409:18	logs 126:9 132:19	148:5,16 149:3,6	273:11,17 274:4,7
299:14 338:8	411:5 414:21	134:3 135:3	173:6 176:2,20	280:6
346:4 400:9	415:14	long 6:15 13:6 24:9	217:13 226:19	Los 384:16
limiting 130:7	live 214:7	37:17 44:1 64:1	229:18 232:12	lose 263:7 360:8,12
limits 102:22 377:2	lived 405:18	65:1 78:3 86:4,4	234:11 237:14	372:16
line 34:9 194:4	lively 278:11	96:20 105:19	238:10 242:10	losing 88:3
210:9 222:17	living 38:20 194:11	135:16,19 145:10	244:15 251:20	loss 109:2 198:7
242:20 329:9	404:3	150:16 161:3	256:11 260:2,5	losses 409:12
lines 40:22 404:11	LLC 300:3	189:18 192:4	265:15 271:7,10	lost 239:20 250:10
416:7	load 62:11 94:12	213:3 222:1	274:22 275:11,21	403:2
link 153:12	114:17 115:2	263:19 278:16	280:15 282:9	lot 77:1 110:20
lion's 146:7	136:8 142:18	282:18,18 289:18	306:13 319:14	114:12 128:18
liquid 34:1 49:16	143:1 174:9	320:17 331:2	334:3,3,7 337:3	132:9 134:14
52:19 196:9,22	176:11 186:14	335:8,15 338:3,5	344:10 354:19	136:17 145:1
200:4,8 205:20	238:2 247:5,6	346:2 371:18	356:12 357:19	157:17 162:11
239:19,20 240:12	loads 68:19	372:2,5,7 373:2	368:19 369:15	169:12 183:3
310:13	loan 96:13 294:1	392:16 410:17	375:10 380:11	213:3,4 216:8
liquid's 197:3	297:9,15 306:3	longer 143:3	382:19 385:21,22	217:20 231:5
list 209:9 233:9	332:11 340:18,19	158:14 188:10	392:22 398:7,13	243:14 251:21
302:2 310:14	340:22 341:10,14	261:4 291:3 319:1	looked 156:10	254:19 279:9
349:20	341:19 342:2,6,10	409:2 416:14	157:4 182:6,14	302:9,14 304:3
listed 299:22	342:18 343:3,7	417:2	295:13 390:11	323:21,22 329:21
311:18	349:13 359:17	longer-term 120:10	looking 9:17 21:10	348:18 381:2,19
literally 270:11,13	360:3,15 361:3,12	120:13 190:4	113:8 129:21	382:11 394:7,8
369:17	361:14,17,21	312:16 361:9,20	139:4 149:16	399:14 402:3,13
lithium 197:2	362:9 363:10,12	363:7 395:10	157:14 159:10	403:19 404:9,13
Lithuania 208:17	363:22 365:10,11	long-lead 298:3	176:15 204:12	409:11 414:5,15
little 7:1 27:4 48:7	366:4 372:22	long-lived 54:2	216:14 224:5	lots 93:21 105:11
52:1 74:14 76:11	374:6 375:6 406:7	132:3 182:2	226:17 227:16	162:4 214:2
80:7 81:12 90:11	406:20 407:11,22	197:12	238:5 241:10	243:11 266:13
103:11 113:9	408:9 409:9 410:8	long-term 16:12	244:13 252:5	318:7 403:3
117:9,12 134:7	411:15	28:13 31:16 45:19	260:19 261:11	Louisiana 398:16

love 48:7 273:17	239:13,16 240:4	51:8,9 52:10	marginally 118:9	121:17 123:20
loved 414:19	368:16 376:8	55:15 56:5,8	216:22	127:17 133:1,6
low 30:16 40:17	379:5,13,15,21	57:22 58:4 59:14	market 10:21 36:1	142:17 148:15,17
77:6 93:18 95:10	machines 337:21	61:13 64:19 70:10	36:2 99:22 106:17	149:1 150:20
175:20 188:18	398:12	73:16 81:22 82:2	107:16 109:2	173:11 197:8
193:20 194:6	macro-economic	151:17 162:21	192:19 212:15,16	200:16
202:1 264:21	303:10	172:21 185:14	215:2,3 220:20	materials 11:14
277:12 339:19	magically 269:13	228:16 231:19	222:2 223:15	19:6 28:2 30:12
344:10 385:8	magnitude 17:9	303:13 304:20	225:7,14 227:6,12	64:6 66:3 68:2
387:5 395:17	197:13 223:12	346:3 348:1,15	227:16 238:9,11	70:11 73:1 77:13
lower 78:2 199:21	336:12 359:21	350:2,7,8 353:18	238:12,15 248:19	77:17 89:22
338:20 362:22	409:3	357:20 358:2	250:21 251:14	101:15 102:20
lowering 204:13	main 16:11 57:21	359:5 367:14	265:8 272:16	114:8 120:6
lowest 97:16,22	322:15	395:2 405:19	280:16 281:4,5	121:19 127:13
low-carbon 84:16	maintain 250:15	416:16	283:22 284:12	182:3 198:6,17
344:16	364:13 365:1	Manager 5:10	290:5,7 324:18	207:15 253:12
low-cost 43:8	maintained 109:5	299:3,7	327:19,20 328:14	265:7 324:13
low-Earth 366:15	maintaining 46:6	managers 405:11	328:22 337:5,6,12	367:7
low-level 66:1,2	maintenance 94:12	managing 5:19	337:16 351:6	matrix 16:19
low-risk 393:9,22	major 10:8,13	86:1 319:7 332:15	359:15 406:12	Matt 210:3
394:6	74:13 167:21	Manhattan 326:21	416:21	matter 78:5 130:14
lunch 269:19,22	171:20 178:3	manner 185:19	marketplace 106:7	151:9 165:8
284:4 286:8	256:20 258:20	251:10 327:19	168:2 221:15	183:20 231:19
LWR 54:7,19	293:18 315:8	396:7	234:8 274:16	235:7 246:1
116:16 130:2	majority 44:8	manufacture 251:4	285:5 302:10	286:14 288:21
272:13	123:18	372:17	348:9 349:7	290:3 348:11
LWRs 270:20	making 115:18	manufactured	351:14 353:10	369:12 394:14
Lyman 3:21 8:21	168:1 195:5 233:9	172:20 184:9	354:18 357:20,22	421:9
61:19,21 62:1,6	248:12 313:10	187:9 316:10	358:1 398:9	matters 242:5
62:12 63:3,11	337:9 371:18	manufacturer	markets 35:18 44:2	243:2 244:1 347:4
65:11,18 75:10	387:11	184:19	96:2 185:11	mature 190:11
87:7,8 89:10,18	man 398:12	manufacturing	211:21 212:2,4,14	204:19 218:6,9
107:5,17 110:4,15	manage 31:16 37:5	14:1 102:18	274:18 284:17	222:5,20 225:4,7
117:20 120:15	55:5 120:13 192:9	170:15 172:21	303:6 306:9,13	246:18,19 253:16
131:7,15 133:22	338:4 351:15	181:4 184:6,13	383:22 396:16	270:9 338:19
135:11 136:6,13	352:14,17,17	194:19 220:4	market-based	maturity 222:18
143:11 145:22	413:2 418:2	226:17 227:10	353:1	maximum 16:4
M	manageable 394:22	228:15 248:21	Marriott 1:15	362:9
MacFARLANE	managed 60:1	249:4,8 257:10	Marvin 3:23 9:2	ma'am 46:19
1:21 111:19 113:3	269:16 348:8	262:11 305:11	73:15	288:12
114:4 115:12,21	394:3	310:20 315:9,18	mass 14:3	MBA 320:10
116:2 117:7	management 3:13	371:15 398:15	match 181:21	mean 18:10 53:15
233:12 234:4,7,18	3:23 8:10 9:3	map 22:17 40:5	187:16	97:14 113:16
235:2,7,15,19	12:9 13:3 20:12	191:2 192:21	material 13:22,22	135:4 140:9
236:16,21 237:7	20:17 23:15 24:5	294:12	14:7 19:4 66:13	145:15 169:14
238:7,13,16	32:6 35:7 36:4,17	marginal 65:20	66:14 102:9,17	226:18 233:17
	36:18 48:5,22	66:11	116:17 118:21	237:15 246:22

256:8 270:13	275:18 343:10	405:22 406:4	metals 170:7	129:1 142:22
272:5 274:21	382:1,3 384:2	409:19 411:20	meters 377:8	minus 98:14
318:1 336:21	410:6	412:2 413:6,14,20	methodical 190:15	minute 80:19
346:9 351:16	melt 403:2 404:1	414:2,18 415:1,5	methodology	minutes 8:2 46:20
368:1 379:10	melted 198:7	415:8,15 416:18	279:17	48:9,12 164:20
400:7 401:19	member 90:10 91:2	417:8 418:1,9	metric 144:3,7	167:4 269:20
415:18 420:12	91:6,11,17,20,22	419:2,14,19 420:8	214:5 289:9	288:2 319:4
meaningful 191:4	92:3 93:1,9 94:14	420:11 421:2	Mexico 133:3	misinterpretation
323:7	94:18,21 95:4,8	members 1:17 8:5	208:17	92:7
means 23:20 24:22	96:3,9,19 98:6	33:10 48:3 80:7	microphone 33:2	misplaced 202:7
35:19 42:12 47:21	99:6 110:3 111:19	124:17 167:8	middle 299:15	missing 137:21
56:2 78:22 79:8	113:3 114:4	210:7 299:19	388:3	165:13 402:11,13
79:10 89:12	115:12,21 116:2	301:16 309:15,18	mid-term 190:1	mission 300:10
188:20 189:13	117:7 122:5 123:9	324:6	migration 135:19	320:14 324:10
211:2 335:10	124:14 125:8	member-owners	Mike 2:17 5:10	325:12 327:15,16
361:3 382:10	128:15 129:11	301:6	298:20 340:22	412:6
400:2	130:11,22 131:3,6	memorandum	Mike's 337:4	missions 330:12
meant 113:1	131:12 133:20	168:19	milestones 381:4	mistake 97:1 269:1
291:16 309:16	134:8,11,16,22	mention 216:21	military 144:18	mistakes 359:2
measure 112:15	135:9,22 136:11	297:3 324:12	368:1	misunderstand
118:21 223:22	137:1 140:2	mentioned 16:18	mill 347:15 351:5	18:9
394:18	145:14 149:19	100:12 112:3	million 74:22 75:3	MIT 320:5,9 397:2
measured 189:1	160:8 233:12	115:14 128:19	79:3 125:10 199:8	397:12
190:16	234:4,7,18 235:2	131:18 185:16	200:5 218:21	mitigate 63:15
mechanism 312:21	235:7,15,19	229:7 231:14	289:9 304:21	121:1 306:11
361:9,13 367:7	236:16,21 237:7	250:9 253:14	319:20 321:7	338:7 340:7,9
378:18	238:7,13,16	293:17 301:17	323:20 330:1,2	mix 73:1 289:5
medical 10:20	239:13,16 240:4	303:1,20 305:21	millions 16:21	418:6
100:16	240:16 246:9	317:1 338:12	million-year 125:4	mixed 14:11 38:9
meet 43:4 71:4	250:12 252:11	342:7 344:22	126:18	39:19 92:21
133:1 186:1	255:9,15 256:1,4	364:6 374:11	Milton 240:11	127:20
281:19 394:12	259:6 261:12	395:12 397:1	mind 47:20 112:4	mixing 101:15
395:7	262:3,21 263:5,15	399:9 409:1	137:8,17 138:17	mixtures 73:2,5
meeting 1:6 7:19	265:17 266:17	merchant 340:21	310:12 367:22	120:2
10:7 11:4,18 20:7	269:3 270:6	merger 365:5	392:12	model 92:20 102:4
50:15 69:1 131:19	272:12,17,21	mergers 364:16,21	minds 169:19	111:1 121:16
164:21 166:21	273:2,9,13 274:1	merging 131:4	172:1 339:10	160:20 305:17
186:13 420:22	274:5 276:9 278:5	MESERVE 1:21	mine 154:5	315:12,20 327:10
meetings 11:7	278:16 299:21	160:8 240:16	mined 176:6 265:1	386:1 401:4
meeting's 9:17	368:16 376:8	400:22 404:21	mineral 265:4	408:20
megaprojects	379:5,13,15,21	405:22 406:4	mines 265:3	models 347:22
223:11 224:20	385:11,18 386:8	409:19	minimize 16:6	modernization
megawatt 187:17	386:12 389:21	met 244:21	minimizing 29:21	24:1
238:2 385:17	390:16,18 392:13	metal 29:9 34:2	ministry 81:18	modes 180:3
megawatts 30:14	393:4 396:9,17	200:4 205:21	minor 16:15 38:16	modest 186:14
180:19 234:19	398:1 399:6	214:5 239:19,21	79:12,19 90:22	335:2,4
239:8,12 244:6	400:18,22 404:21	240:12 310:13	125:17 128:20	modified 66:7

188:11	354:21 360:8,11	movers 303:4	names 321:12	186:1,15 188:19
modular 5:13	360:12 363:10	306:9 307:6	narrowed 245:4	189:13 190:1,21
34:11 105:4	364:1 384:11	312:11 340:6,7	NAS 125:4	191:22 230:13,22
106:12 170:1,9,13	401:15 409:2,13	moves 339:11	nation 156:3 188:3	260:21 261:7
172:18 179:1,9,9	monitor 326:10	moving 19:20	189:12 191:13	294:12 352:2
180:12,14 181:3	327:19	50:20 88:19 89:8	193:3 320:21	necessarily 111:3
185:17 187:7	monitored 213:16	149:9,10 157:1	416:1	111:11 349:16,21
217:20 219:13,15	monitoring 23:11	279:20 298:2	national 19:9 24:8	399:15
227:11 228:11	monkeying 260:16	318:7 336:14	43:5,17 44:6	necessary 20:2
233:15,17 234:3	monopolies 359:13	373:12	56:10 58:5 66:16	55:9 61:12 68:18
239:7 246:12	monopoly 357:7,12	Mowry 2:8 4:12	68:6 73:6 110:10	191:10 355:15
248:1 259:9 262:8	357:17 358:6	165:13 178:14	110:11 169:2	374:21
262:9,10 278:10	359:11	183:13,15 193:7	174:2 209:21	necessity 408:21
278:22 279:7	months 157:10	222:13 229:7	225:12,13 226:2	neck 375:13
292:5 307:18	235:17 323:11	230:6 240:19	227:9,18 229:2	need 16:6 17:12,18
312:15 370:22	372:13 380:20	241:20 249:15	248:18 263:12	21:2 24:14,14,19
380:6 398:19	moon 347:11	250:13 259:18	308:12 309:17	30:3 31:10,12
415:3	Moore 317:10	274:20 282:6	320:4 331:12	38:17,22 39:6,17
modularity 105:10	morning 12:13	284:5	368:2 398:22	42:20 43:5,12
257:9 262:16	25:14 32:20	MOX 28:9 76:15	nationalized 44:5	44:6,7,19 45:4
module 30:13	140:18 288:4	76:19 77:7 111:10	nations 193:18	67:19 83:21 86:19
169:22 181:1	380:9	112:16 114:20	194:5,9 195:3,9	86:20 87:13 89:13
235:10 237:1	motivation 167:20	115:5,7 160:17,18	195:11 199:18	90:14 91:7 109:11
modules 30:9	Mountain 124:1	161:6,12 206:21	200:18	114:9,12 115:3,4
180:16,18,22	125:2 130:14	207:13 210:17,19	nation's 50:20	116:18 120:8
234:15,16 235:4	346:22 347:11	211:6,13 215:1,1	148:13 188:21	123:10 124:3
235:10,11,11	353:4 354:8 359:7	215:6,9,10	189:11 192:11	125:1 127:16
241:9 242:9	377:1,2 378:10,14	mPower 187:7,13	natural 2:12 4:17	129:17 130:9,13
molecule 402:15	378:18 379:3	187:20 188:5,17	94:6 146:17 155:6	130:17 142:13
molten 29:3 195:16	391:15 396:13	189:20 192:16	156:1,7,9,19	145:4 146:19
195:20 196:5	move 44:10 47:6	multi 127:5	157:2,6 171:16	150:18,20 152:21
197:2 198:2,9	48:8 51:3 56:20	multiple 31:7 58:21	179:5,20,22 201:1	152:22 153:18
239:19	84:3 102:17	85:15 86:1 115:9	357:6,12,16	158:17 162:1,7,8
moment 71:11	126:21 138:14	241:9 243:16	359:11,12 387:7	163:4,13 164:12
165:21 170:8,13	148:11,12 178:4	279:12 357:7,8	nature 110:5 114:8	169:2 171:21
212:4 253:5	213:8 257:16	Multiplier 169:21	151:20 302:8	175:13 181:2
391:22	262:18 268:16	multi-agencies	324:22 364:6	182:15 185:9
MONDAY 1:11	296:22 298:14	316:2	Navy 379:12	193:1 198:4
money 156:14	301:9 304:11	multi-generational	NE 146:2	200:14 205:11
157:7,9 200:7	305:1 345:5 367:1	127:5 128:8	near 25:1 30:6	207:3 213:13
213:1 214:18,19	370:2,14 382:4	multi-generations	197:16	214:10,14 215:12
214:20 219:20	387:2 396:3	83:20	nearer-term	215:17 219:11
220:7,8 226:22	407:11	muster 307:9	240:20 396:3	222:14 228:20
232:7 254:11	moved 302:10	<hr/>	nearly 69:4 311:1	229:10 231:14
260:4 268:11	304:11	N	near-perfect	235:13 241:16
323:21,22 329:21	mover 99:22 302:4	name 141:14	131:21 132:6	242:4 243:4,22
335:3 339:17	335:17	298:21 319:7	near-term 64:2,11	248:16 254:6,10

254:12,16 256:13 257:14 260:5 263:20 264:2,4,9 276:1,3 279:9 296:22 312:5,16 315:3,19 316:4,9 325:15 335:14 340:5 342:5,12,16 342:19 344:17 348:3,11 349:5,14 349:18 351:4 352:9,13 353:10 353:17,21 354:5 354:10,16 359:4 365:20 372:9 373:11 381:1,18 381:19,22 382:2,3 383:15 391:3 399:3 402:6 405:4 406:8,16 407:15 407:16 408:11 412:9 414:5 needed 17:15 20:9 21:1 24:8 38:17 59:17 127:12 225:8 264:2 289:21 314:8 335:18 341:13 372:7 375:12 needs 21:4 22:16 23:21 30:20 31:13 37:1 41:16 43:2 45:1 60:19 72:2 81:8 85:22 104:19 109:7 175:6 183:2 186:1 187:6 197:21 222:11 257:13 262:20 277:4 281:19 283:2 316:14 335:11 343:4 416:2 negative 74:15 87:21 96:13 negotiating 248:12 336:16 NEI 309:20 385:22	neighborhood 254:1 336:18 neighbors 136:19 386:17 neither 323:2,5 neptunium 77:12 77:15 net 284:7 Netherlands 208:6 neutron 77:5 78:11 78:16 174:14 neutrons 196:10 Nevada 142:9 352:5 never 52:22 121:12 136:3 138:14 149:19 162:5 211:13 240:13 275:19 280:19 322:13 350:11 355:6 411:18 new 10:15 11:5,10 14:2,9 26:3,11 27:6,9 35:5 37:12 38:18 39:7,15,22 40:6 42:4,11,17 42:19 43:3,6 44:10 45:19 51:6 55:4,10 56:7,18 57:10,17,18,20 61:5 67:13,19 80:21 82:17 86:13 87:4 95:3 100:7 103:12 104:14,17 106:11,11,13 107:8,11,14 108:17 133:3 146:14 147:7 148:1 156:16 157:21 167:17 169:17,18,22 177:18 180:16 185:15 190:19 191:7 192:22 201:13,16,18,19 202:6 204:6,9,12 204:19,21 216:15	218:11 219:5,7,18 221:13 226:9 227:4 229:8,12 230:4 231:14 235:22 242:20 245:18 249:2,3 252:5 253:8,10 260:16 267:6 268:19,20 269:12 271:1 275:1 276:12 277:3,10 279:6 284:7 287:15 289:20 290:16,21 291:5 293:19 295:11,22 296:4,5,19 297:4 301:15 306:19 315:12,14,20 325:20 328:14 330:15 331:7 335:22 336:1,8 337:18 338:2,8,12 338:20 339:4 340:4 342:3 343:10 353:21 362:21 363:11,15 364:1 367:3,6 382:1,3,7 385:5 385:19 386:2,2 392:15 398:6,14 400:12 401:5,6 406:1 408:9 412:10,16 next-generation 26:2 NGNP 257:21 258:4 262:6,17 nice 181:20 408:21 nicely 365:21 nimble 302:12 nitrogen 289:11 non 11:12 20:7 50:16 139:2 169:6 281:9 283:1 non-aqueous 54:10 117:1 non-carbon 199:16	274:10 non-competitive 108:5 non-government 268:3 non-proliferation 7:20 18:3,13,16 18:22 90:3 166:22 251:8 normal 286:5 normally 261:21 North 26:13 184:15 284:8 295:19 northeast 384:15 Northwest 1:15 209:21 notable 41:3 notably 33:20 note 9:18 11:7 109:15 119:22 222:22 269:18 286:4 357:3 Notice 19:22 352:16 noting 216:21 notion 66:9 117:22 226:8 269:11 398:3 Notwithstanding 85:8 novel 204:12 279:17 no-carbon 385:8 NP2010 301:12 303:21 304:7,8,10 304:13 306:2 NRC 24:20 44:16 45:1 77:3 104:19 106:10 107:11 109:8 192:1 213:16,19 229:14 230:1 241:14,22 244:22 245:11 252:4 280:4 305:5 305:20 308:19 309:1 312:20 313:4,8 314:14	322:16 324:3,4,6 325:4 326:19 329:19 330:5 336:8 351:7 394:2 394:4 401:10 418:18 NRC's 300:13 324:10 NRDC 217:3 299:11 NRDC's 221:9 NRDVC 221:22 nth 272:5 nuance 137:21 nuclear 1:1 2:4,19 4:11 6:6 8:13 10:10 11:12 13:6 13:15 18:19 20:18 22:9 23:20,20 24:3,12 25:11,16 25:18 26:1,3,5,6,9 26:16,20 27:1,3,7 27:18 28:19 29:1 32:5 33:4,8,15 34:18,21 35:5,21 36:9,10 38:4,19 39:21 40:6 42:1 43:7,18 44:5,12 48:17,19,21 55:5 55:6,14 56:12,13 56:16 57:15 58:6 59:22 63:20 64:3 64:4,9 65:7,14 66:6,13,14 67:11 67:18 68:2 69:14 70:4 71:13 72:7,7 73:4 74:9 75:19 80:21 81:2,9 82:17,20 83:3,12 84:4,15,17,22 86:15,17,19 87:10 87:11,11 88:13,20 89:21 90:2 93:16 94:2,8 95:3,13,15 95:21 96:11,14 97:5,12 98:21 100:6,11,18
---	---	--	--	---

102:10 103:12,18 106:21 107:2 108:6,14,16,17 115:19 116:4 144:11 154:17 156:17,18 168:1,4 169:3,4,5,9,20 170:4,5 172:12 173:6,8,19 174:10 176:12 179:18 184:6,7,11,13,21 184:22 185:2,5,7 185:10,14,15 186:4,7,17,19,20 187:1,3,4 188:5 188:12,18 189:2,6 189:11,13 190:2,7 190:17 191:2,15 191:22 192:8,9,12 193:4 195:13 196:8 199:3 200:1 201:14,18,22 202:3,21 203:17 204:6,9,19 213:12 214:12,18 216:15 218:4,5 222:1 223:7 225:22 233:18 242:13,22 243:11 244:17 246:13 247:8 248:12 249:20 250:1 252:1 253:2 253:10 254:3,17 255:11 256:12,13 256:17,20 257:1,8 259:22 263:3 267:18 270:19 274:12,13,15 275:5,6,9,17 276:4 277:11 287:16,19,20 288:16,18,20 289:2,12,20 290:1 290:3 291:6,14,20 292:6 293:17 294:1,5,6,10,11 294:14 295:4,9,11	295:14 297:9,13 297:18 298:11 300:5,8 302:3 307:16 308:1 311:4 317:18 318:22 319:6,16 319:18 320:1,5,7 320:9 321:3,19 322:10 323:1,6,18 323:20 324:13 325:21 326:7 328:19,22 329:6 329:10 330:9,17 331:3,6 333:22 335:22 336:2,8 337:18 338:2,8,21 342:3 343:10 344:7,22 346:12 349:11 350:8,10 350:14 351:3 352:17 353:6,11 355:2 359:1,4 361:7 362:21 363:11,16,19 365:12 368:6 369:3 374:22 376:15,20 377:20 379:12 380:4 382:3,7 385:19 386:1,2,2 387:5 387:17 389:9 391:2,9,21 393:1 393:9 394:13 397:2,7,13 398:4 399:2,18,20,22 400:10,12,17 402:9,21 404:22 408:9 412:10,16 413:1,12 414:3 416:2,9,10 417:5 418:2 419:9 nuclear-based 322:6 nuclear-generated 323:4 325:5 nuclear-powered 324:19	nuclear-related 184:13 number 41:17 48:18 68:6 70:6 89:19 90:19 116:8 118:13 164:1 201:20 208:2 227:15 275:21 308:20 312:6 323:14 341:7 344:3,21 365:22 373:10 380:2 406:1 numbers 22:17 132:8 193:21 209:1 336:14 NuScale 2:7 4:8 178:21 229:15 NuStart 2:17 5:9 205:4,5 253:17 254:10 296:3 299:3,8,9,11,21 300:2,3,7,10 301:7,13,16 303:15 304:8,22 305:2,17 NuStart's 306:1 N-stamp 271:8 N-stamped 184:20 <hr/> O Oak 195:15 196:4 207:9,10 Obama 33:6 objective 68:12 119:15 340:5 381:5 382:12 383:9 415:22 objectives 37:2 219:6 382:6 obligated 90:2 obligation 21:14 67:5 obligations 55:8 61:4 90:4,6 346:12 394:12 395:7	observation 88:16 101:22 154:6,14 246:16 374:10 376:11,11 observations 154:19 391:2 observe 194:1 observed 101:13 219:14 observers 412:17 observing 412:6 obsoleted 195:22 obstacle 18:1 obtain 341:1 obviating 200:14 obvious 182:21 obviously 138:6 183:10 240:21 occur 316:12 375:20 401:14 occurred 137:22 148:3 occurring 398:21 occurs 401:6 OECD 70:4 194:5 195:11 offer 9:22 26:11 50:9 51:22 185:17 189:21 191:16 offered 372:12 offers 84:15 189:4 Office 10:10 353:17 365:11,12 Officer 3:17 8:15 32:14 Official 2:2 3:3 offset 44:1 220:5 offsprings 322:16 off-ramps 229:21 oftentimes 267:11 of-a-kind 218:4 296:14 of-facility 59:6 of-origin 252:2 oh 62:19 74:3,5 89:16 94:14 113:3 139:8 207:3	273:13 411:22 414:1 Ohio 184:16 oil 156:7 173:13,14 173:16,18 331:13 387:18,22 388:3,7 389:3,14 okay 6:3,22 12:2 22:13,15 32:18 62:7 63:1 80:11 92:3 111:19 113:6 115:12 117:7 134:20 149:15,22 160:6 165:10,22 166:7,8 178:17,19 209:7 210:4 211:4 211:13,18 214:16 220:11,13 221:7 222:3 229:3 233:11,12 235:19 235:21 237:7 238:16 240:15 255:15 257:22 258:1,4 262:1,8 269:17 270:5 277:7 282:1 285:5 304:8,21 311:22 318:2 319:12 334:13 355:13 356:8 359:16 365:7,15 376:8 379:21 385:19 392:8,13 393:4 396:17 405:6 420:14 421:3 old 48:20 116:4 231:5 239:22 242:15 291:8,9 320:18 older 322:17 once 36:15 39:8 77:17 78:18 84:1 132:2 136:8 145:2 155:21 160:18 180:20 197:11 211:6 212:13 233:22 244:8
---	---	---	---	--

281:2 291:13	operated 13:9	250:14 257:6	205:20 218:21	outside 13:8 97:4
309:9 326:11	108:10 187:10	283:11 316:19	229:1 241:5	124:12 237:18
327:20 331:4,10	245:8 254:2	372:16 401:13	262:18,22 263:22	250:18 284:8
339:16 348:21	operates 172:10	oppose 110:12,17	265:5 274:3	365:12 417:3,6
353:13 360:14	207:15 409:9	opposed 99:11	314:16 337:15	out-of-the 391:18
410:11	operating 30:6	107:18 108:15	349:21 383:8	overall 224:22
once-through 7:13	31:6 33:17 35:9	120:7 291:7	ordered 225:5,8	258:3 289:10
9:22 12:17 23:18	59:18 81:15 104:1	opposite 18:21	orderly 326:8	297:16
50:8 63:17 69:15	104:8 184:8,10	137:14	orders 197:13	overcome 272:9
72:8 120:14 146:9	187:18 190:5	opposition 110:5	278:12 298:3	overlay 303:7
163:16 166:14	245:20 270:22	opted 202:22	ordinary 76:16	overnight 223:4,20
208:21 210:19	272:7 289:2	optimal 38:7	ore 29:19 265:5	224:1,17 228:14
ones 20:1 25:6	291:15 292:1	optimistic 129:10	Oregon 179:3	overpromising
31:12 82:1 107:9	293:13 295:21	331:1 396:22	279:19	96:21
109:4 365:13	300:11 301:1	optimize 210:14	organization 31:15	overseas 26:18
370:11,11 371:6	335:9 392:12,18	214:20	63:13,14 82:4	144:6 227:14
418:15,19,21	401:12 408:19	optimized 36:14	107:21 317:18	251:3
one-issue 305:6	operation 59:15	230:12	352:19,20	overseeing 351:9
one-pager 117:9	78:9,21 79:1,5	optimizing 36:11	organizational	overseen 351:7
one-position 305:6	94:10 97:9 146:21	214:17	325:9	379:16,18
one-review 305:6	192:6 297:14	optimum 34:4	organizations	overseers 351:7
one-seventh 114:20	340:2 357:4	option 13:12 20:14	311:1 322:17	oversight 255:21
163:22,22	363:17,20 364:4	28:17 59:7 95:13	325:13 330:13	269:8 379:9
one-sixth 194:21	394:5	189:22 231:1	original 37:22	405:19
one-size-fits-all	operational 57:3	268:12 274:14	178:18 320:19	owned 254:2 372:2
143:13	187:12 189:5,18	357:21 363:21	406:6	owners 299:22
one-step 290:16	operationalize	options 7:12,18	originally 125:2	338:7 384:10,20
291:22	377:9	12:16 24:6 28:3	135:21 243:16	393:16
one-third 76:19,22	operations 103:19	45:19 50:7,15,22	319:9 321:4	ownership 394:19
one/two 46:21	114:11 271:13	51:13,18 52:1,17	ostensible 19:14	oxide 14:11 38:9
ongoing 308:19	326:10 337:2	59:8 67:4 80:16	ought 82:9 151:1	92:21 127:20
online 403:11	348:1	127:10 146:9,13	157:18 164:7	O&M 201:22
onsite 158:5 237:14	opinion 137:19	146:20 161:10	225:15 226:1	
Ontario 184:17	140:13 150:21	164:11 166:13,20	249:8 266:2 371:4	P
opaque 114:12	153:21 177:21	232:3 260:11	371:6,9 410:13	Pacific 209:20
OPEC 387:21	201:7 202:1 228:4	287:17 316:21	outages 187:19	package 348:17
open 11:19 52:16	228:21 391:21	orbit 366:16	outcome 164:18	349:22
63:14 155:14	opportune 41:19	order 3:2 23:8,12	250:8	page 177:9
188:12 222:4	opportunities 3:9	24:3 43:12 61:2	outcomes 42:5,10	paid 161:19
242:1 310:11	4:2 7:5 105:11	62:11 68:18 75:20	42:13 45:18	pain 103:3 260:22
330:9 400:4	153:17 166:5	77:16 81:20	outlaid 291:16	painful 105:1
opening 100:12	319:14 407:5	107:22 110:1	outline 25:19	painfully 373:8
operability 154:2	opportunity 25:17	114:14,19 115:10	outlines 177:9	Pakistan 208:18
300:20	32:8 33:12 63:6	155:8 162:2	output 276:13	panel 3:10 4:4 5:4
operate 60:16	84:15 89:11	168:14 171:1,19	289:19 313:15	7:4 8:8 73:14
70:19 178:7 265:3	152:18,20 167:17	171:21 177:20	314:19,22 315:3,4	80:6 99:18 100:3
291:18 393:1	183:16 201:5	178:12 202:13	outset 132:16	122:22 124:17

127:3 131:17	263:6 276:10	partners 301:6	paying 93:4 388:2	174:8 176:9
137:2 138:12,13	278:21	partnership 191:6	395:22	181:10 198:13,20
147:11 164:17	part 40:7 56:7 59:4	231:18 249:12,19	payment 370:4	211:2 217:11
166:3,5,9 167:2,5	81:13 112:2	250:4 251:17	payments 36:15	235:13 254:4
167:7 183:17	137:22 139:21	253:14 327:11	Payne 255:19	289:4,6,14 314:16
204:1 205:15	172:20 183:17	partnerships	pays 211:7,12	319:21 321:6,8
209:4 210:7 216:8	217:5 234:22	306:16	317:21	337:15,15 362:10
229:12 247:20	254:9 261:6	parts 120:3 170:16	PBMR 245:11	369:4 373:17,19
255:3,4 266:15	270:17 275:7	172:22 213:12,13	Peachbottom 239:6	373:22 381:2,22
285:20 287:4,6,8	279:6 284:18	228:15 270:7	peer 177:6	384:5 392:17
391:7 419:4,10	291:5 292:5,14	274:22 325:4	pellets 207:13	percent-plus 284:7
panelist 8:7,11,14	295:10,21 300:9	400:6	penalized 108:20	perception 396:15
8:17 9:1 12:5,7	300:13 307:6	pass 196:11 206:21	penalties 59:2	perfect 68:11 69:4
47:18 61:18	327:13 339:15	307:9	penalty 161:18	133:18 215:15,16
167:10 288:8,10	345:17 349:22	passage 342:1	people 22:21 41:15	384:18
307:15 318:11	350:6 354:1	369:7	41:18 80:10 97:18	perfection 149:16
panelists 7:8 9:5	357:15 359:18	passed 271:10	124:9 136:20	149:20
11:16 80:19	370:4 379:8	341:11	137:6,11,13	perfectly 68:15
128:16 129:10,12	384:19 393:16	passive 27:13	140:21 147:11	164:18 254:5
138:19 139:6,8,14	397:17 400:10	105:12 179:5	156:13 157:17,22	352:4
139:16 166:10	402:5 406:22	279:8 300:16	161:17 162:11	perform 45:5
167:3 216:6	418:5	passively 172:14	164:6 169:17,18	performance 33:22
246:10 286:4	partial 302:2 371:3	patent 106:9,15	181:19 193:14	68:10 104:1 189:5
287:9 391:8	participate 153:5	patented 101:22	204:20 208:2	performed 269:7
panels 10:12	321:22	path 24:4,21 29:3	219:17 235:22	performers 109:12
287:22	participated 177:8	37:12 38:11 39:18	236:15 245:11,15	period 16:16 32:17
panel's 8:3	228:5 311:2	50:21 64:12	247:20 261:20	65:1 86:4 118:10
paper 78:4 79:14	participates 38:10	129:21 163:17	267:8,22 268:12	126:10 137:5
313:5 319:1	participation	164:13 168:9	269:22 318:4	155:16 178:11
papers 310:5 312:1	309:14	188:4 189:10	320:19 321:8	261:5 269:5 286:8
314:1 317:5	particular 21:8	190:19 258:21	322:2 331:1	335:15 338:3,5
paradigm 19:1	64:19 66:9 94:5	260:6 264:13	358:13,17 371:21	392:16
399:21	112:10 117:22	395:18	376:19 388:8	permanent 37:16
paradigms 308:9	121:1 160:12	paths 130:19	396:19 397:20	37:17 159:4
308:10	176:2 255:3 259:9	pathway 133:13	402:3 405:17	permanently 37:14
parallel 45:8 130:9	313:20	402:16	perceive 195:10	59:20 157:19
parallelism 402:20	particularly 14:19	Paul 2:7 4:9 178:20	perceived 391:10	permit 291:11
parameter 292:21	71:12 186:12	232:10	percent 14:3,5,13	292:15 293:12,19
parasitic 247:5,6	233:2 266:10	pause 303:3	15:20 17:15 18:5	295:10,16 352:2,3
Pardon 125:11	277:9 367:22	paving 296:18	29:18,19 35:21	354:2
parliamentary	parties 309:2	pay 44:3 92:11,13	71:20 83:13,15,15	permits 297:2
81:19	partly 376:15	94:3 108:6 211:3	90:12,14,15,15,17	353:21 401:11
Parmentola 2:6 4:5	partner 5:17 41:4	220:17 272:2	90:18,18,20 91:8	permitted 92:11
167:10,14 227:20	249:9 318:12	346:20 347:9	91:12,16,18,22	perpetuity 406:18
239:5,15 240:2	319:8 323:5	353:12 361:17	98:15 128:4,6	person 81:4 137:7
256:11 257:22	partnered 249:18	370:9 375:13	132:2,3 155:4,5	304:18
261:18 262:4,22	262:13 278:3	379:2 395:4	159:7 163:5 172:6	personal 107:18

139:2 338:14	327:17	257:20 355:6	403:11,15,19	plays 60:15 418:7
personally 214:6	phase 293:14	418:16	404:16 408:9,17	please 12:10 83:1
344:3	297:10 401:19	placing 97:8	plants 27:6,12 30:7	193:9 293:8 299:5
personnel 41:21	phased 58:14 60:10	142:17 378:13	88:21 89:5 94:2	pleased 53:7 73:19
perspective 7:11	229:18 230:4	plaguing 88:13	97:8 98:22,22	168:18 205:4
37:8 100:9 104:6	356:17 401:10	plan 127:5,6 128:8	102:10 103:21	369:1
104:7,8 166:12	phases 35:14 294:5	128:12,14 177:12	106:21 107:3	pleasure 12:12
183:6,20 223:2	405:1	177:13 191:13	108:15,18,19,20	plentiful 203:5
224:7 226:4 230:7	phasing 401:6,18	192:8 237:19	109:3,6 111:8	plenty 212:21
259:19 277:16	402:4,8,14	245:2 267:22	156:18 182:11	plus 90:21 98:14
300:18 309:15	phenomena 180:4	310:4 354:3,4,5,7	184:8,21 186:7	179:10 274:17
361:20,22	Phil 1:22 109:22	354:10,11 395:1	199:8,15 200:15	300:4
perspectives 80:20	122:4,20 134:5	395:11 396:6	201:20 204:19	plutonium 14:1,10
pertains 76:22	201:10	412:19	216:15,21 218:6	15:5 16:13 18:4,5
per-kilowatt	Philip 317:10,13	planning 241:8	219:5 225:7	19:8 29:22 52:22
385:13	philosopher 150:1	243:3 292:19	226:11,13 231:16	53:2 66:10 75:12
Per-megawatt	philosophy 135:17	297:10 311:13	248:9 249:2 254:3	75:21 76:18 79:18
385:15,18	305:7 406:20	338:1 377:7 382:9	270:22 271:1	90:16 91:1 118:1
per-megawatt-day	physical 11:13	plant 15:6 49:18	274:15 275:5	118:16 120:2
145:5	19:10 121:6	58:9 74:8,12,21	277:11,22 281:18	123:16 125:17
per-unit 114:16	physics 18:10 36:5	75:1 94:6,22 95:3	289:2,17,20 291:9	126:17 135:15
Pete 1:15,18 3:5	physics-driven	95:15 96:11 99:2	291:12,13 292:22	143:16 144:4,8,17
6:13	37:9 39:16 42:15	105:7 108:7 133:4	295:6,7,12,14	144:18 150:17
Peterson 1:16,19	45:11 46:1	181:18 182:9,10	299:13 335:19	151:17 152:3
3:7 6:14 9:5,7	picture 181:22	189:4 201:14	336:8 337:2,18	162:21,22 163:11
48:2 99:16 106:8	418:14	214:12 218:21	338:17 339:9,11	163:14,18 175:22
119:21 165:16,22	piece 227:4 387:15	219:3 223:13,14	340:21 367:9	206:21 207:1,3,6
178:6 183:11	pieces 36:9 293:18	223:15 224:6	371:2 375:18	Pogo 150:1
193:6 200:20	pig 280:21	225:5 226:9 227:6	391:3 392:16,18	point 11:22 20:13
204:11 209:3	pile 268:11	234:22 235:5,13	393:1,7,14,17,18	25:1 31:11 71:7
216:2 220:11	piles 415:14	236:11 237:5,14	394:5 404:1 406:9	84:10 86:9,21
221:7 222:3	pilot 133:4 247:4	237:20 238:5	407:17,20 408:3	98:20 112:13
227:19 229:3	pipes 226:20	242:16 249:3,21	408:19 409:22	116:12 123:13
232:6 233:7	pit 150:2	264:20 271:17,20	410:1,5,10 414:9	124:8 126:1 129:2
240:15 246:8	pitcher 141:13,21	272:1,3,5,9	416:9,11	130:12,17 131:1
259:2 269:17	place 24:9,16 70:2	280:10,19 281:1	plant's 188:1	132:15,18 133:12
278:13,19 279:2	95:15,15 152:21	292:21 293:19	plastic 101:11,19	136:14 142:21
282:1 283:17	155:17 196:9	295:17,22 296:4	plates 102:14	144:15 147:21
284:13 285:18	197:5 211:13	296:16 298:7,7	play 145:13 159:2	148:13 149:8
311:7 320:11	215:6 246:5	313:16 314:7,12	352:1 361:21	169:1 173:16
327:5 356:8 359:9	251:18 315:19	314:18 316:10	404:15	175:13 201:8,16
359:16 365:7,15	358:13 374:18	336:2 337:8 338:3	played 154:22	202:3 212:13
366:9 416:12,19	388:10,12 389:14	338:9 339:18	321:2	215:9 221:16
petroleum 389:3	406:10	340:1,3 342:3,12	players 285:15	227:5 233:8
pharmaceutical	placed 29:9	353:21 354:1,2	290:8	237:21 238:4
403:8	places 14:19 81:21	374:22 385:20	playing 109:10	244:6 247:3
pharmaceuticals	159:20 244:17	386:2,2 398:6	283:21 344:19	248:18 254:14

256:9,13 259:20 260:7 264:15 277:19 280:14 281:15 282:7 284:6 299:11 313:10 315:18 328:8,9 329:15 353:3 354:20 360:3 361:2 362:7 363:2 366:13 371:14 385:7 389:12 415:2 pointed 173:7 407:3 points 75:9 139:18 139:19 150:10 232:19 252:16 356:11 392:9 poison 77:6 policies 11:1 34:21 46:7 80:14 86:2 152:21 153:11 217:14 302:14 policy 4:22 19:16 20:9 23:17 24:1 24:11 25:20 26:7 28:14,21 31:4 32:5 35:10 37:6 37:12 38:6 39:7 42:4,11,18,19 44:6,11 45:11,12 56:17 58:6,6 67:8 67:13,19 80:16 81:1,6 82:10,19 83:18 84:10 85:14 87:20 89:1,12 92:7 97:6 108:13 108:15 109:8 149:8 177:17 210:5 213:13 263:13 271:9 288:17,21 293:22 297:7 305:22 327:1 333:22 340:12 341:11 342:1 343:9 346:12 349:11	376:16 394:13 412:14 political 43:15 56:22 61:1 81:15 83:20 267:13 331:12 politically 88:10 politics 24:18 60:14 pollutant 221:2 pollutants 221:3 pool 180:6,9,15 188:1 236:14 237:1 304:16 361:13 370:7 pooled 370:5 pooling 361:5 370:5 pools 13:15 181:13 393:22 poor 78:19 206:8 popular 415:10 population 193:13 194:1,3,9 195:1 199:22 200:13 portfolio 39:19 275:7 399:10,17 400:11 portfolios 186:8 portion 39:20 43:21 76:22 106:3 portions 153:12 pose 216:11 322:11 336:10 posed 135:21 poses 143:19 position 217:4,22 221:9 249:5 417:4 positive 45:14 323:17 341:8 413:12 possibilities 133:9 possibility 122:13 128:16 222:7 363:21 possible 53:20 79:2 131:13,16 132:12 133:18 160:19	231:12 289:18,19 339:15 367:3,20 408:8 possibly 98:3 124:3 191:19 299:19 305:16 306:14 357:1 390:5 postpone 22:1 pot 374:16 375:12 potential 7:14 10:3 10:15 26:1 50:9 51:15 53:18 115:15 145:4 166:15 168:9 185:8,18 191:17 229:10 303:3 308:8 314:11 316:12 336:9 357:15 361:20 374:14 409:1,8 potentially 45:13 68:1 312:14 353:3 382:13 383:6 395:13 409:12 pound 265:1 pouring 397:7 power 10:11 17:5 23:20,20 27:11 33:4,8 39:21 63:20 69:14 81:2 81:9 82:20 83:3 84:15,22 86:19 87:12 88:20 89:4 93:16 96:11,14 97:5,12 98:21 102:10 108:6,15 108:18 111:8 128:12 154:17 156:18 174:22 178:21 184:4,7,21 186:4,7 187:1 189:2,6,13 190:7 192:12 193:4 195:12,18 197:14 198:8,12 199:8,19 202:21 204:19 214:12 221:20	222:1,15 223:7,13 223:14,15 224:6 231:15,16 244:17 249:21 250:2 270:20 275:5,6,10 275:22 276:4 287:20 288:16,18 288:20 289:3,13 289:20 290:15 293:17 294:6,11 294:14 295:5,9 297:18 298:11 314:22 321:19 323:6 324:13 325:21 326:7 330:9,17 331:3,11 332:18 344:11 359:1,4 368:3,6 369:3 374:22 375:18 380:4 381:14 383:17 384:7,21 385:19 386:19,21 391:2 393:6 402:22 412:16 413:1 416:9,11 powered 368:3 powerful 153:22 285:15 PowerPoint 62:2 62:14,17 powers 248:11 power's 192:8 practical 136:3 184:3 185:19 189:13 193:3 251:10 266:4,21 301:1 330:14 392:3 practically 14:6 346:10,13,15 practice 37:4 162:2 319:13 pragmatic 32:6 precedent 104:12 precipitation 54:21 preclude 58:7	predictability 335:6,14 395:15 predicted 290:19 predominantly 334:21 prefer 352:18 preference 178:16 preferred 29:12 395:20 preliminary 232:22 403:5 prematurely 164:10 premium 335:5 premiums 212:20 preoccupied 146:7 preparation 298:6 306:2 376:2 preparations 306:19 prepare 45:1,4 prepared 26:11 157:22 183:18 201:13 306:2 387:19 preparing 405:8 present 1:17 2:1 63:7 presentation 62:3 62:18 137:3 208:8 210:3 390:20 presentations 8:2 137:9 138:18 167:4 178:12 216:6,7 246:11,14 247:17 288:2 presently 320:3 preserve 163:11 President 3:12,19 4:6,12 8:9,18 12:8 33:6 47:19,21 48:4 79:12,17 167:11 183:13 308:14 309:11 369:9 presiding 1:16 press 87:1
---	--	--	---	--

pressing 21:14 86:17	378:17 388:9,12 389:13	357:4 359:11 364:16 371:4	54:22 60:19 88:2 88:7 101:2 104:11	177:2 180:18 277:5 350:6
pressure 59:18 179:17 185:1 197:21	pride 46:13	395:20,21 400:7 400:11 405:4	117:2 136:18 171:15,17 175:14	351:12,15 376:20 378:1
pressurized 35:22 182:19 198:6 319:18	primarily 76:8,12 205:22 206:2,14 322:22	407:17 408:21 409:6	175:15 214:14 216:4 229:17,19 230:4 232:20	produced 22:3 41:16 198:21 347:20
presume 241:10	primary 41:4 57:8 75:11,13 163:8	problem 40:8,20 75:13,16 79:10	233:3 276:15,18 290:12,17 291:6,8	producer 346:21 347:18 348:21
presuming 145:15	226:20 295:4 302:19	96:6 115:17 116:5 116:6 121:1	291:9,10 292:6,15 292:16 293:5,12	producers 225:22 346:3 350:1 354:21
pretend 182:7	prime 41:8	125:20 126:18,18 126:19,22 138:1	299:17 300:13 307:5 310:9	producer's 346:18
pretty 62:21 113:15 158:18 238:5 332:12 383:14 393:21,22 400:9	primetime 150:15 150:16	142:5 151:22 152:1 203:18	313:18 315:1,5 316:6,10 326:9,9	produces 15:4 17:16 38:15 177:3 198:16 418:14,15
prevent 19:16 87:10	principal 364:17	206:20 211:17,20 221:6 223:21	327:9 328:2,18 329:2,20,21 336:9	producing 36:12 184:20 277:15 347:21 398:12
prevented 19:9	principle 69:21 401:14	247:11 270:18,18 314:5 315:16	338:1 339:5,6,8,9 339:12,16 340:4	product 15:5 29:8 34:9,17 39:9 40:22 77:9 118:14 124:5,6 130:6 157:11 196:17 219:22 232:9 347:3 371:15
prevention 36:22 42:6 45:15	prior 7:6 166:9 204:1 292:2 373:18	334:7 360:15,17 361:4,22 364:5,8 364:20 381:7	341:13 349:1 356:18 363:13 366:22 370:5	product 15:5 29:8 34:9,17 39:9 40:22 77:9 118:14 124:5,6 130:6 157:11 196:17 219:22 232:9 347:3 371:15
previous 58:13 107:9 167:2 216:8 242:8 255:4 287:22 303:1 338:11 374:13 419:4	priorities 202:8 264:17	383:4 387:17 388:5 415:3	375:11 381:3 382:10 402:5 404:22 405:16,20	production 38:10 64:5 171:14 198:15 199:5 207:13 218:12 294:2 297:12 306:4 326:6 343:9 410:3,5
previously 206:11	priority 257:20 409:6	problems 40:12,15 41:16 43:9 82:6 88:21 92:6 97:12	407:21 408:13,14 410:11 414:19	production 38:10 64:5 171:14 198:15 199:5 207:13 218:12 294:2 297:12 306:4 326:6 343:9 410:3,5
pre-certification 229:22	PRISM 31:20 381:15 390:8	100:1 103:22 104:18 115:15	processed 75:2	productive 11:17
pre-judging 313:7	private 23:7 44:2 58:15 60:15 82:4	116:3,15 147:1,3 168:10 169:12	processes 14:22 39:11 45:2 49:16	products 16:14,20 26:22 43:8 78:6 90:21 106:6 118:11 125:19 126:6,8 170:7 174:16,21 175:10 175:16 177:1,4 197:11 249:8 327:18,20 328:14 365:19 368:5 389:3
price 96:4 155:10 157:3,5 220:21 227:5 238:4 276:21 281:15 287:19 335:20 347:8 352:15,21 353:7,8,9,9,14 358:15 359:7 376:13 387:12 388:6	228:7,8 321:8 323:5 327:12 328:13 333:5 351:1 352:18 357:5 360:5 377:22 379:10 398:21	229:2 230:9 236:5 236:6 341:17 345:19 349:9 407:8	54:8,9,11 65:21 71:15 117:14 126:13 293:4 304:1 330:9 367:7 405:12	procure 367:5
prices 95:9,11 217:1 383:18 387:7,8 393:8	privately 379:14,15	proceed 9:4 12:10 32:12 45:21 50:1 99:14 111:17 134:21 160:7 287:5 288:11 298:19 299:5 313:11 331:21	processing 13:13 31:21 35:7 64:8 72:19 117:13,21 118:8,14,17 121:10,19 162:13 197:5	procurement 298:4 336:16 360:10
Price-Anderson 314:1	privilege 154:9	proceeding 77:2	produce 14:11 39:20 41:13 42:9 45:18 176:22	professionals 185:5 professor 397:13
pricing 303:9	probability 343:5 probably 83:15 95:22 107:1,20 119:10 135:13 136:7 202:15 205:5,9,19 215:15 222:11 232:14 265:18 311:14 312:6,12,13 321:9	process 14:16 15:4 29:12 43:1,16 44:16,18,21 54:18		

proficient 43:13	296:5 297:16	339:6 340:5	proven 186:17	140:16 152:7
profile 241:1,1	299:7 301:19	promising 261:3	187:1 189:21	189:5 190:13
profitably 13:9	306:10 308:20	promote 43:16	190:11 192:5	192:2 288:21
profits 253:22	326:21 338:7	67:4 147:7	339:7	324:14 326:15
profound 160:11	341:2,12 359:21	promoters 413:11	provide 23:5 35:12	327:17,21 333:18
program 4:22 5:6	362:11,21 363:13	promoting 324:17	36:20 46:7 48:22	383:21 391:20
31:19 39:19 49:4	363:16 365:11	prompted 376:12	54:21 58:4 59:7	396:14
54:15 57:11 76:19	383:21 384:1,2,3	proper 23:8 83:11	62:13 70:9 83:16	publicly 42:5,14
79:20 148:1,3	384:11,12,15,17	418:19	83:19 84:16 85:1	84:20 294:10
179:6 191:3,9	384:18,20 391:15	properly 101:16	106:18 117:4	publicly-accepta...
201:11 202:4	399:12	349:8	118:11 146:13	42:17
203:1,10,20	projected 289:14	proposal 160:15	161:9 171:10,14	public's 85:22
207:17 213:2	projections 186:14	219:3,8 255:19	183:18 184:12	125:9
230:9 254:18,21	projects 43:22	323:19	190:6 199:3	public/private
265:16 266:9	186:4 195:4	proposals 64:14	213:17 230:22	191:5 231:18
268:17,20 272:4	294:17,22 295:17	219:5,18 326:1	255:6 260:10	249:19 250:4
278:22 288:9,17	295:21 297:10,12	343:12	272:4 286:9 289:3	251:17
295:5,9 301:12	297:13,22 298:8	propose 20:11	311:7 326:8	Pull 33:1
303:21 309:21	301:15,18 305:13	112:16 117:2	342:10,22 361:9	pulled 17:7
332:12 340:18,19	336:5 337:14,21	310:7	363:7 367:17	pumps 226:19
341:1,10,19	360:6 361:7,10	proposed 55:21	384:5	purchase 97:19
369:18,20 372:8	362:1,13 363:14	239:17 240:6	provided 31:2	331:13
379:12 384:9	364:1 366:8 385:5	295:1 335:18	68:22 120:6	purchased 375:12
408:1 410:8	proliferation 11:13	proposing 238:22	304:15 316:19	purchaser 379:2
411:15	17:21 18:20 20:8	239:4 315:21	366:21 403:11	pure 15:4
programmatically	21:11 29:21 42:21	proposition 136:5	418:17	purely 147:20
191:11	50:17 52:21 64:4	proprietary 175:2	providers 358:2	224:1 257:12
programs 10:8	66:6 70:22 72:1,5	prosperity 194:7	provides 35:20	PUREX 15:13
20:2 41:3 81:22	72:7 87:11 110:7	194:10 195:1,4	36:3 66:11 188:6	71:14 72:4 209:15
205:22 266:10	110:9 129:6 139:3	199:20 200:12	229:21 257:5	purpose 75:11,13
293:15 323:15	145:7 146:18	protect 19:5 43:16	260:21 277:3	223:2 295:4
progress 60:20	152:1 168:7 169:7	143:18 149:1	319:2 343:9,19	299:12 301:8
61:3 79:15 81:11	169:8 170:18	150:18 327:17	368:4 408:1 417:1	purposes 18:8
126:4 161:22	200:13 206:2	protecting 19:3	providing 186:12	255:10
177:22 190:15	207:8 257:2 283:2	120:12 163:21	188:18 199:18	pursue 45:22
323:12 341:21	proliferation-pro...	protection 7:20	289:5	225:13 416:1
342:5 373:7	21:8 72:15	11:12 15:8 19:11	provisions 340:14	pursued 71:15
prohibit 92:9	proliferation-resi...	35:1 120:22 121:7	344:4 410:3	191:19 338:13
prohibited 213:22	207:18	121:22 166:22	provocative 253:3	pursuing 38:12
prohibitively	proliferation-resi...	306:5 343:19,21	288:5	119:18 145:19,20
279:10	72:13,17 182:3	344:1 362:16	pro-nuclear 63:13	153:10 171:9
project 5:10 41:12	proliferation/ter...	prototype 175:4	public 4:22 24:2,10	188:14
81:17 96:8 186:13	118:2	proud 26:16	35:14 37:11,19	pursuit 330:8
193:11 198:22	prologue 321:17	321:13	40:16 43:4 45:5	purview 397:18
200:9 224:1 247:4	prolonged 200:5	prove 365:18,19	59:21 83:9 84:1,1	push 79:7 155:22
293:19,20 294:5	promise 10:1 34:12	proved 28:13	104:21 112:2,6	260:17
294:10 295:10,22	191:1 278:19	195:20	124:8,18 125:6	pushed 156:1

pushes 405:4	quality 198:18	335:20 343:1	R	reactivity 114:7
pushing 185:14	quantified 22:16	347:4 357:2,6,13	radiation 126:5	174:15
put 14:12 99:3	212:18	359:17 363:6	radioactive 3:23	reactor 1:4 3:9 4:2
116:17 123:16	quantify 213:7	366:10 374:11	9:3 73:16 120:8	6:4 7:5 9:16,19
126:6 134:3 135:4	quantities 64:6	378:5,6,8 379:22	198:6 353:18	11:6,10 13:20
142:18 144:9	quantity 116:19	380:1,16,16 391:7	radioactivity 80:2	28:16 29:6 30:11
151:10 152:3	176:3	392:6 393:13	radiochemistry	30:14 31:19 33:15
155:20 157:9,18	quarter 102:1	399:7 401:2	162:14	33:20 34:2,16
159:2,3 163:3	quasi-government	402:20 403:7	radionuclides 54:2	36:1 38:21 39:12
180:19 181:13	268:4	406:5 411:21	radiotoxic 197:12	41:6,17 43:3 54:7
182:8,17 204:22	question 9:20,21	412:3 419:3	200:15	54:12 55:1 61:5
209:15 214:18,19	18:17 23:13 50:12	questions 3:25 4:23	radiotoxicity 16:10	75:14 76:20,21
214:20 219:20	54:13 66:19 67:2	5:23 7:8 8:4 25:4	52:14	79:9 80:1 100:7
236:1 249:16	71:6 72:2 74:1	47:1 50:6,18 57:6	raise 72:6 108:2	114:2,19 115:16
251:2 262:4	90:9 93:10 94:15	99:14,20 109:17	raised 245:10	116:14,18 117:6
304:13,21 310:15	94:19,19 95:2	111:21 129:7	269:4 335:21	117:16,19 119:8
315:19 318:3	98:7 99:17,19	134:14 136:1	420:18	121:12 123:17
335:5,22 346:22	100:3,17 106:20	138:15 140:8	raising 417:9	129:5 145:8 146:3
347:10,11 351:12	107:5,6 109:21,22	166:11 167:6	raison 284:18	147:5 160:16,19
353:14,19 354:7	110:4,16 111:15	183:10 216:3,10	ran 182:17	161:2 166:5
359:7 376:13	112:1,13,21	229:20 233:13	range 36:17 187:5	167:18,20 169:22
378:10 379:3	115:13 117:10	245:21 246:17	188:15 202:15	170:1,2,9,10,14
384:13 388:12	119:3,20,22 120:3	259:5 264:11	224:10 386:3,18	170:17,19 171:5
399:11	120:10,16 124:19	287:10 288:4	ranging 39:3	171:13 172:4,5,19
putting 71:11	128:9,10,18 134:6	318:10 356:2	rapid 103:15	173:2 174:4,7,10
90:12 152:2	135:1,12,20 136:1	357:1 376:10	rapidly 89:9	174:13,22 175:22
159:19 182:14	136:22 138:2,4	380:2 401:1 403:1	rarely 267:4	176:4 177:6,10
227:6 232:7 236:3	141:5 143:11	403:4,19	rate 65:16 382:19	179:2,10,13,18
236:7 260:4	147:10,13,18	question-and-ans...	382:21 394:8	182:20 186:16
303:18 340:13	154:4 158:11	137:5	ratepayer 306:12	187:3,7,8,13,20
352:15,21 354:13	159:3,6 160:22	quick 110:4 233:13	ratepayers 365:3	188:8,22 189:3,19
378:18 401:16	181:16 216:13,14	270:2 320:13	rates 117:16	189:20 190:3
PWR 181:9	221:8 222:4	356:11 366:10	193:18 194:2,4,6	191:14 192:3,10
pyro 31:20 54:11	225:11 229:4,11	392:6 399:7	199:21	195:16,20,21
72:19 117:1,13,21	229:15 231:3,17	quickly 31:11	rate-base 302:9	196:5,10 198:3
118:7,14,17	232:1 233:10	135:11 251:12	rational 40:11	200:6 201:16
121:10	234:1 235:21	282:19 284:3	rationale 70:1	202:6,12 203:1
P-R-O-C-E-E-D-...	238:17 247:17,18	297:7 345:20	Ray 2:20 5:16	204:2,21 206:5
6:1	251:12 252:7,13	367:12 378:7	318:11 319:7	207:5 210:11
p.m 286:14,15	258:1,2 259:10	398:2	356:17 401:3	211:17 215:13
287:2 421:8	263:17 265:21	quieted 166:8	reach 42:15 129:18	217:7,20 223:20
	270:3,4,15,17	quite 85:20 116:7	274:17 281:16	227:16 228:10,11
Q	271:6 272:21	133:15 222:16	355:16	229:8 230:21
qualified 271:18,18	273:8,16,18	242:1 338:19	reached 256:12	235:22 236:5
qualitative 419:5	276:20 278:8,14	372:20 406:19	274:18	238:20,21 239:7
qualitatively	278:17 279:14	415:18	reaching 323:13	239:11,18,19,20
259:14 261:13	282:3 283:14,18	quote 150:1	reaction 196:11	240:12,14 241:12

243:5 245:8 247:8 250:11,13,16 251:2 253:8 254:10,15 256:16 256:16,18 257:5,7 257:8,18,21 258:5 258:6,13,17,19 261:1,13,14 262:8 262:10 265:9,12 265:18 275:17,20 276:12,14,15 277:3 281:8,9,10 281:11 283:4,6,7 283:7 292:7,8 296:6,8 297:21 314:10 319:18,19 336:19 347:1 348:15,19 350:12 367:3 396:1 398:19 402:21 419:16 reactors 5:13 13:13 14:12 17:6 26:22 31:20,22 33:16 34:11 35:5 40:2 41:1,1,2 42:9 45:17 53:17,22 59:18,20 77:16,20 77:21 80:21 82:17 83:7 92:16,22 100:6 106:13 112:10,10 113:6,8 113:15,21,22 115:8 116:8,9 119:12,13 128:22 145:21 146:17 150:14 163:12,15 170:12 172:16 176:9,21 177:2,16 184:10 185:17 186:11 188:14 190:9 197:14 198:19 200:4 203:13 205:14,17 205:21,21 206:3,4 206:6,10,12,16,19 206:22 209:1	219:13,15,19 220:2 222:5 224:3 224:16 227:11 229:12 230:5 233:16,17,18,19 234:2,3 236:1 237:17 239:6 240:3 241:4,5 246:12 248:1 256:12,14 258:11 258:14,22 259:10 262:9,14 275:2,13 275:15 277:5 278:11 279:1,7 280:3,9,11 281:16 296:19 297:4 306:20 307:18 308:11 312:4,15 316:4 350:13,13 350:19,20 368:3 371:1,11 372:9 373:11 374:16 380:6,8 383:5 392:12 396:4 398:8 413:10 415:3 418:5 419:15 420:4,17 421:3 reactor's 54:1 reactor-based 191:20 282:17 reactor-grade 19:6 read 25:7 62:13 63:3 70:7 310:3 324:9 373:3 388:15 readily 274:12 ready 150:15 183:2 189:20 292:13 real 110:5 218:22 328:3 349:14 354:19 387:17 399:1 403:17 realistic 121:20 186:9 189:10 343:5 realities 56:21	reality 335:19 realization 281:15 realize 50:21 74:15 168:13 171:19 177:16 262:17 291:19 realizing 177:10 really 41:19 78:12 78:13,14 87:13 105:13 108:12 118:15 125:10 129:7 135:12 140:7 148:10 151:5 153:13,21 157:13 216:16 223:22 224:5 229:20 230:1,20 230:22 236:11 237:3 243:19,22 244:12,15 247:12 247:13 248:20 249:5,14,22 250:7 250:17 251:9 252:7 255:2 260:5 264:4 265:10 275:2 280:4 284:18 300:19 304:11 309:18 310:17 311:2 315:3 316:3,15,19 318:18 323:3 325:15 326:14,22 329:15 330:13 338:15,19,21 343:7 347:3,4,16 352:16 361:13 363:2 364:9,11,13 369:17,22 373:11 376:20,21 377:5,9 380:16 383:3 391:10 399:7 400:2,9 408:1 409:10 410:4,10 419:21 realm 136:2 407:11 reason 19:4,11,14 63:16,21 81:13	85:16 100:2 125:8 197:20 259:21 288:19 334:20 399:10 reasonable 136:5 138:11 212:19 276:1 277:16 332:22 334:19 342:22 reasons 29:13 79:21 93:13,17 96:15 98:8 99:7 99:11,12 103:18 116:10 161:21 162:16 236:8 290:10 Rebecca 2:15 5:6 288:8 301:17 303:20 305:21 335:22 339:5 342:7 365:8 Rebecca's 359:20 recall 294:8 390:10 receive 55:17 366:1 received 110:20 receptive 183:7 recession 231:5 373:16,22 recognize 127:11 165:17 186:2 222:14 321:13 recognized 26:20 190:18 191:1 recommend 15:1 23:16 79:11,17 89:7 198:22 325:19 330:18 392:4 recommendation 79:16 314:21 325:18,18 329:16 recommendations 42:3 46:17 177:14 328:20 416:6 recommended 135:8 218:19 315:7 370:17	recommending 32:1 126:15 312:17 reconsider 214:22 reconsidered 293:4 293:12 reconvene 286:5,12 record 26:17 104:1 138:8 165:8 284:2 286:14 369:7 392:18 409:21 421:9 recovered 14:8,10 29:4 recovery 302:19 343:6,14 recyclable 13:18 recycle 18:19 26:5 28:1 68:9 72:15 76:19 79:18 98:13 125:16 126:17 160:17 163:17 199:14 206:21,21 210:17,19 211:17 215:13 268:16 363:22 409:2 recycled 16:14 17:5 77:7,8 91:5,10 132:17 176:18 363:13 recycles 115:10 recycling 13:5,5,10 13:12,13,21 15:14 16:11 17:2,16 18:1,2,15 19:7,14 19:18,21 20:1,3 20:13,14,20 21:3 22:16,18 23:2,8 23:14 24:6,12 25:1 28:4,8,18,21 29:1 30:6,21 31:3 31:5 32:2 39:5,12 46:3 49:1,2,10 51:19 54:7,22 55:15 57:3,8 58:7 58:9 68:5,18 70:14 72:17 75:12
---	---	---	---	--

92:15 98:11,18 110:5,12 117:18 119:13 123:14 128:2,3 138:20 147:20 158:21,21 161:20 164:16 210:15 409:13	reduction 16:3 36:22 42:6 45:15 64:1,22 65:19 66:6 69:5 70:16 71:16,19,20 72:21 75:18 114:15,21 120:21 131:10 177:12 381:17	regional 51:9 56:4 57:21 58:3,21 59:13 61:12 87:2	reinvent 256:13	34:3
red 179:19	redundancy 316:13	regular 418:21	reiterate 69:1 87:9 98:20 112:13	remarks 9:6 33:13 48:10 51:2 61:14 147:19 183:9,14 183:18 225:2 387:20
Redesigning 38:19	redundant 279:9 279:12	regulate 220:19 221:2,3 322:10 355:9	relate 11:5 74:20	remember 91:10 333:20 410:16
reduce 17:14 38:12 44:19 52:12,13,13 52:14 65:15 68:13 68:16,19 69:16 78:12 90:14 111:3 115:10 124:7,20 126:17 129:5 131:21 142:7,15 142:18 162:1 163:21 171:15,17 191:6 194:10 198:20 200:15 203:12 204:2 212:8,10 213:6 214:21 215:12,17 223:3 289:10 295:5 297:16 303:22 305:4,8,9 305:10 306:8,14 307:10 331:11 339:6	reemphasize 142:20	regulated 34:22 155:11 306:9 341:4 362:17,18 362:22 364:10 386:6 408:4,5,8	related 267:12	remind 7:22 113:9 167:3 321:11 376:18,19
reduced 45:16 76:13,14 91:12,14 132:1 136:9 257:16 262:20 304:17	refer 73:6	regulation 230:19	relates 99:19 193:17 194:15 359:17 364:9	reminded 288:1
reduces 15:17 118:1 142:11,16 170:4,19 182:2 198:4	reference 154:19 155:18 296:1	regulations 11:11 67:10,22 68:2 108:22 287:13 291:21 312:6 316:5 341:18	relationship 324:4	remote 281:13
reducing 16:7,8,10 29:14 65:13 91:7 103:21 122:14 123:19 145:4 206:13 245:14 296:20 297:17 307:7 390:5 417:10	referred 102:15 123:1 390:8	regulator 104:10 308:18	relative 69:17 72:8 132:2 206:3 217:3 283:22 336:5	remove 24:14 54:19 59:19 75:14 76:5 77:11,16 82:11 116:19 125:16 126:20 163:17 174:20 175:5,9
	refinance 364:2	regulators 309:16 364:22 383:18 384:22 394:9	relatively 30:16 126:10 146:4 339:19 364:6 380:21 393:20 394:6 395:17 403:9 408:14	removed 16:13 75:8 77:17 91:5 298:13
	refining 276:18	regulatory 11:3 24:19 34:19 36:5 44:13 61:1 67:11 67:18 104:11 108:16 187:10 230:17 244:1,14 279:15 280:1 290:14,17 291:6 291:14,20 292:6 293:21 296:20 302:18 303:16 305:9 306:5 307:4 309:4 310:9 312:2 313:2,18 315:16 324:16 325:18 328:19 333:6 336:7 339:5,18,22 343:20 364:14 401:5 407:21 408:14	release 180:11	removing 79:8 126:16 180:8
	reflect 67:17	regulatory 11:3 24:19 34:19 36:5 44:13 61:1 67:11 67:18 104:11 108:16 187:10 230:17 244:1,14 279:15 280:1 290:14,17 291:6 291:14,20 292:6 293:21 296:20 302:18 303:16 305:9 306:5 307:4 309:4 310:9 312:2 313:2,18 315:16 324:16 325:18 328:19 333:6 336:7 339:5,18,22 343:20 364:14 401:5 407:21 408:14	released 196:10	renaissance 20:18 27:3 350:10,14 391:11 392:10 417:5
	reform 349:14,17 349:17,22	regulatory 11:3 24:19 34:19 36:5 44:13 61:1 67:11 67:18 104:11 108:16 187:10 230:17 244:1,14 279:15 280:1 290:14,17 291:6 291:14,20 292:6 293:21 296:20 302:18 303:16 305:9 306:5 307:4 309:4 310:9 312:2 313:2,18 315:16 324:16 325:18 328:19 333:6 336:7 339:5,18,22 343:20 364:14 401:5 407:21 408:14	relevant 65:7 70:2 71:13 112:14 136:15 239:3 240:19 413:17 420:12,13	renewable 217:14 221:9 382:1 384:22 385:5 387:3 399:9,17 400:1,1,8,10,15
	reformed 271:21	regulatory 11:3 24:19 34:19 36:5 44:13 61:1 67:11 67:18 104:11 108:16 187:10 230:17 244:1,14 279:15 280:1 290:14,17 291:6 291:14,20 292:6 293:21 296:20 302:18 303:16 305:9 306:5 307:4 309:4 310:9 312:2 313:2,18 315:16 324:16 325:18 328:19 333:6 336:7 339:5,18,22 343:20 364:14 401:5 407:21 408:14	reliability 180:1 190:13 206:8 239:9	renewables 85:3 221:21 225:18 302:15 383:13,15 384:6 387:10
	reframing 254:21	regulatory 11:3 24:19 34:19 36:5 44:13 61:1 67:11 67:18 104:11 108:16 187:10 230:17 244:1,14 279:15 280:1 290:14,17 291:6 291:14,20 292:6 293:21 296:20 302:18 303:16 305:9 306:5 307:4 309:4 310:9 312:2 313:2,18 315:16 324:16 325:18 328:19 333:6 336:7 339:5,18,22 343:20 364:14 401:5 407:21 408:14	reliable 26:5 187:1 289:3 384:15	renewed 185:13
	refueling 173:3 187:18 195:19	regulatory 11:3 24:19 34:19 36:5 44:13 61:1 67:11 67:18 104:11 108:16 187:10 230:17 244:1,14 279:15 280:1 290:14,17 291:6 291:14,20 292:6 293:21 296:20 302:18 303:16 305:9 306:5 307:4 309:4 310:9 312:2 313:2,18 315:16 324:16 325:18 328:19 333:6 336:7 339:5,18,22 343:20 364:14 401:5 407:21 408:14	reliant 104:10	repeal 351:5
	regard 16:9 21:21 65:4 66:12 67:1 67:15,21 68:4,21 70:13 71:6,22 72:1 81:5 86:18 88:12 93:16 98:17 111:4 113:19 114:15 117:21 119:2 121:9 140:1 143:13 144:22 161:15 183:1 230:18 302:13	regulatory 11:3 24:19 34:19 36:5 44:13 61:1 67:11 67:18 104:11 108:16 187:10 230:17 244:1,14 279:15 280:1 290:14,17 291:6 291:14,20 292:6 293:21 296:20 302:18 303:16 305:9 306:5 307:4 309:4 310:9 312:2 313:2,18 315:16 324:16 325:18 328:19 333:6 336:7 339:5,18,22 343:20 364:14 401:5 407:21 408:14	rely 104:9 189:15 284:16	repeated 119:13
	regarded 400:1	regulatory 11:3 24:19 34:19 36:5 44:13 61:1 67:11 67:18 104:11 108:16 187:10 230:17 244:1,14 279:15 280:1 290:14,17 291:6 291:14,20 292:6 293:21 296:20 302:18 303:16 305:9 306:5 307:4 309:4 310:9 312:2 313:2,18 315:16 324:16 325:18 328:19 333:6 336:7 339:5,18,22 343:20 364:14 401:5 407:21 408:14	remain 57:1 76:17 111:11 142:10 158:6 190:2 202:1	repeal 351:5
	regarding 23:13 358:4	regulatory 11:3 24:19 34:19 36:5 44:13 61:1 67:11 67:18 104:11 108:16 187:10 230:17 244:1,14 279:15 280:1 290:14,17 291:6 291:14,20 292:6 293:21 296:20 302:18 303:16 305:9 306:5 307:4 309:4 310:9 312:2 313:2,18 315:16 324:16 325:18 328:19 333:6 336:7 339:5,18,22 343:20 364:14 401:5 407:21 408:14	remainder 8:3 167:5 288:3	repeat 223:3 252:9 267:14 300:1 385:12,12
	regardless 208:4 352:8	regulatory 11:3 24:19 34:19 36:5 44:13 61:1 67:11 67:18 104:11 108:16 187:10 230:17 244:1,14 279:15 280:1 290:14,17 291:6 291:14,20 292:6 293:21 296:20 302:18 303:16 305:9 306:5 307:4 309:4 310:9 312:2 313:2,18 315:16 324:16 325:18 328:19 333:6 336:7 339:5,18,22 343:20 364:14 401:5 407:21 408:14	remains 60:21 76:3 162:22 174:14 215:3	rephrase 278:14
	regime 255:5,6	regulatory 11:3 24:19 34:19 36:5 44:13 61:1 67:11 67:18 104:11 108:16 187:10 230:17 244:1,14 279:15 280:1 290:14,17 291:6 291:14,20 292:6 293:21 296:20 302:18 303:16 305:9 306:5 307:4 309:4 310:9 312:2 313:2,18 315:16 324:16 325:18 328:19 333:6 336:7 339:5,18,22 343:20 364:14 401:5 407:21 408:14	remanufacturing	replace 196:16
	regimes 38:6	regulatory 11:3 24:19 34:19 36:5 44:13 61:1 67:11 67:18 104:11 108:16 187:10 230:17 244:1,14 279:15 280:1 290:14,17 291:6 291:14,20 292:6 293:21 296:20 302:18 303:16 305:9 306:5 307:4 309:4 310:9 312:2 313:2,18 315:16 324:16 325:18 328:19 333:6 336:7 339:5,18,22 343:20 364:14 401:5 407:21 408:14		

199:8	representing	53:19 54:17 78:1	resist 246:16	responsibly 59:22
replaced 276:1	107:19 311:3	78:2 108:22	resistance 21:11	rest 17:18 18:7
replacement	represents 207:22	132:13 178:2	168:7 169:8 257:2	19:13 87:22
172:20 194:3,9	290:4	210:12 223:12	resistant 72:6	162:16 163:18
195:2 228:15	reprocess 28:15	296:15 327:14	Resnikoff 3:23 9:2	208:3,20 257:7
replacing 390:3	79:6 143:14	requirement 54:4	62:17 73:15,19	331:8 377:16
replication 31:1	214:10 347:1	255:7 337:22	74:3 98:19 128:17	restore 20:17 59:21
report 53:5,6,9	reprocessed 208:15	380:22,22 384:4	133:22 140:1	restoring 24:2
61:8 68:7 131:18	reprocesses 208:7	385:1	141:8 142:3	restrictions 411:16
133:10 177:9	reprocessing 15:13	requirements 37:1	resolve 45:9 88:11	restrictive 185:11
206:9 308:5 311:6	28:4,9 34:3 39:22	39:15 130:1,15	resolved 56:15	result 17:14 35:11
317:2,21 356:13	63:18,22 64:13	131:10 187:16	212:14 241:4,16	104:11 109:1
reports 79:4	66:21 74:9 75:20	198:14 231:8	241:18 293:3,10	322:5 341:15
repositories 142:4	76:11 77:18 78:9	232:5 243:3	339:15	373:15 376:15
357:8,9	78:21 79:4,8	259:11 261:8	resolving 341:9	395:6 413:3,15
repository 15:18	87:17 88:1 89:14	292:2 332:11	resource 17:5,10	resulting 34:7
15:22 16:5 28:3	92:6,10,12,16	336:7 419:6	17:12 36:3 40:8	35:17
28:13 29:11 55:17	93:7 98:22 99:2	requires 29:10	168:4 173:21	results 22:4,5 37:3
58:2 67:6 68:19	110:6,11,12 111:4	93:20 128:19,22	187:15 265:10	68:22 72:19
70:1 76:8,14,16	117:18 118:19	139:20 143:17	resources 2:12 4:17	200:10
88:8 91:15 112:20	119:5,17 127:21	171:20	45:1 70:10 143:18	resumed 165:9
120:19 122:16	139:1 142:4	requiring 108:17	182:5 193:15	286:15 298:10
124:3 126:11	145:21 146:3,11	research 5:22	201:1,10 220:15	resurgence 23:19
127:12,15,17	147:5,9 161:5	10:11 20:22 35:15	280:13 400:9	397:11,16
130:17,18 131:10	171:1 172:13	43:20 59:9 125:22	respect 145:15	resurrection
133:3 135:15,17	207:12,12 208:4	139:10 140:5	191:17 299:10	391:12 392:10
142:10,17,19	208:10,22 209:15	145:18,20 146:2	360:16,18	resuscitate 270:11
152:3,5 163:4	210:14 212:16	147:7 155:17	respects 338:18	rethink 287:19
203:20 206:13	215:1 256:3 268:9	156:12 159:10	respond 140:7	retire 242:17
210:13 211:13	357:15,22	168:13 171:20,20	247:21	retiring 231:5
212:16 213:20	reproduction	171:22 178:2	responded 177:11	retool 302:11
214:1 266:3	194:13	203:11,13,14	response 12:1	retooling 325:4
267:20 268:2,6	Republic 208:13,14	204:8,16 228:1,9	66:18 128:16	retrievable 213:16
352:3,9,14,17,22	Republican 369:9	228:19 234:13	187:5 381:20	return 291:19
353:2 354:9	369:9	252:17,20 253:12	responses 132:17	335:4
355:10 357:3	request 297:19	253:13 261:3	responsibilities	returns 335:2
358:5,7,10,12,21	requested 12:15	345:7 381:15	18:14 394:18	reusable 13:22
359:10 376:14,15	342:14	397:14 398:19	395:19	14:4
376:17 377:6,14	require 39:21 52:1	Reserve 269:12	responsibility	reuse 28:2 58:1
repowering 242:15	52:2 168:13	reserves 173:13,14	24:15 55:13 67:7	revamped 291:21
244:18	170:22 171:5	173:17	70:9 82:1,11	revenue 75:2
represent 34:21	206:15 230:19	reshuffled 178:10	350:2,5 365:10	313:16,20 314:20
51:20 209:9	313:2 353:21	reshuffling 173:3	394:19 396:5	366:21
representative	369:14 381:10	178:8	responsible 48:4	revenues 254:1
209:11	383:8 391:20	reside 298:15	268:1,9 321:5	reversal 87:20
representatives	required 29:14	residents 75:6	346:2,20 348:7,22	reverse 231:13
100:4	40:1 43:7 53:16	residual 20:16	351:2,9	review 5:5 210:5

229:22 245:2	251:12 252:11	risks 64:2,3,8 72:7	387:14 388:21	142:10 153:5
305:18,18 326:9	255:16 256:1,4	87:13 99:21	389:4,8,12,17	172:14,15 192:5
329:2,20,21	262:5 269:13	106:22 120:13	390:7 396:11,18	198:8 199:19
reviewed 177:7	274:18 275:11	121:9 142:13	401:3 402:12	258:8,9 326:6
reviews 301:21	277:14 305:11	153:15 191:6	405:6 406:3	331:5 403:10
revive 270:10	311:6,10 318:8	211:8 213:7	Rothrock's 349:16	safeguard 118:18
revolutionary	325:1 331:2	257:15 336:9	Rothwell 2:14 4:21	152:4 255:6
22:10	342:15 356:5	337:20 338:14,15	178:15 209:5,7	safeguarding 17:19
revolving 406:17	368:15 379:11	340:10 344:13	234:2,6,9,21	safeguards 17:17
renewables 383:14	386:13 388:10,12	360:17 408:15	235:3,9,16 284:14	19:10 203:17
re-shuffling 39:4	388:21,22 389:8	410:12	roughly 202:17	206:20 253:1
re-utilization	390:17 399:6	risk-averse 212:4,5	254:4 342:8	255:1,7,11,20
419:22	402:17 406:3,3	302:5,7	362:19 381:1	safely 46:5 148:22
Ribbon 1:1 6:6	411:12,13,19	risk-informed	route 133:5	161:3 289:18
32:2 33:11 188:3	415:4 418:4	312:18	routinely 337:13	358:14 416:4
268:22 318:20	419:18	River 41:6,11	Rowe 201:12	safer 67:20 108:18
rich 183:22	righthand 148:8	215:8	319:16	safety 7:19 11:11
RICHARD 1:21	rights 185:12	road 40:5 191:2	rulemaking 293:11	33:22 34:22 35:9
Richland 209:13	242:21	192:21 220:1	313:4	35:13 45:6 50:15
209:21 214:7	rigor 404:5	294:12	rules 6:17	64:7 67:12,15
rid 144:20 158:14	rigorous 35:8	roadway 183:3	run 264:21 352:3	70:22 83:9 101:7
163:5 354:3,5,22	rigorously 35:2	Robert 2:9 4:15	379:14,15 382:19	101:8 102:5
Ridge 195:15 196:4	ripples 396:15	robust 16:18 26:22	382:21 393:17	103:21 104:22
207:9,10	risen 405:19	102:11 399:1	running 162:16	105:12 108:1,9,21
right 7:4 8:7 47:13	risk 43:21 44:1,9	Rockefeller 319:10	269:18 272:9	109:6,9 124:2
49:12,22 58:10	44:20 52:21 64:2	role 60:16 204:4,5	285:22 289:18	143:19 166:21
62:12 63:2 84:9	64:3,11 66:7,12	212:7 218:10	326:11	172:16 180:1,4
92:20 93:9 95:4	66:13 70:21 87:10	221:12 228:6	runs 196:19	189:4 190:13
97:9 114:16	95:16 99:4 106:4	232:2 253:7,9,9	rushed 25:3,6	198:4,18 236:8
122:13,17 126:16	111:9 118:2 138:4	321:2 351:17,22	Russia 19:17 208:5	237:2 240:22
126:20 127:21	138:10 142:7,11	352:1,11 355:8	Russians 285:2	264:2 279:8,13
128:6 131:2	142:15,16 143:4	361:21 379:9	R&D 10:2,8,9	292:18 300:20
132:16 135:12	177:12 188:19	404:15 418:7,7	31:19 53:15	324:14 326:13
140:13,14 142:1	207:9,22 211:5	rolled 291:7	144:22 145:9	402:17 403:4,7,10
143:8 147:19	212:20 219:21	rolling 379:19	146:14 161:8	404:7
148:22 152:14	231:19 262:19	Romania 208:18	199:4 200:1 202:4	Saipan 238:1
154:3,12 159:9	268:22 297:11	roof 388:8	203:10 207:7,21	salt 29:3 133:2
163:6 164:3,13	306:5,8,11,14	room 106:12 137:7	240:7 253:8	136:10 159:4,20
165:2,14,20	307:7,10 335:4	140:22 162:12	254:17,22 355:13	195:16,20 196:5
168:11 172:9	337:14,17 338:7	210:7 245:7,9	398:21	196:19 198:2,10
181:7 193:20	338:20 339:2,7,9	246:3	R's 28:3	239:19
210:8 213:9 215:2	339:18,22 340:7	rooms 241:11		salts 197:2
215:5,6 230:8	343:18 360:5	root 322:19	S	Sanders 308:15
235:8,15 236:16	361:5,8,13,16	Rothrock 2:20 5:16	sabotage 129:6	309:12
238:13,13,16	363:3,15 394:4	318:12,13,15	safe 13:7 26:4	sandwiches 102:13
240:4 241:19	395:18 409:11	319:7 365:16	28:12 29:10 33:5	sanitation 194:17
250:7,12,14	410:4,6,22 411:8	367:21 379:22	37:15 57:16 112:5	sat 146:10 162:18

satisfactorily 56:15	science 42:12 43:9	213:14,17,21	290:2,6 297:1	356:9
satisfy 370:7	46:15 157:13	sections 245:1	304:22 311:17	send 251:3,4 331:7
Savannah 41:10	204:8 311:4 320:5	sector 58:15 60:15	312:21 339:14,21	332:6,8 353:9
215:8	402:14,20 404:6	82:5 212:2 321:8	354:15 364:19	381:13
save 158:10,15	Sciences 68:7	323:6 327:12	370:21 372:22	sends 196:15
226:22	science-based	328:13 333:5	373:9 376:5	senior 3:19,22,24
saves 17:11	326:15 327:21	344:12 351:1	377:14,15 380:3	4:6,18 8:18,21 9:2
saving 76:21	scientific 17:1	357:5 398:21	388:16 394:15,17	47:19,21 48:3
savings 220:5	scientifically-pro...	sectors 316:21	394:22 395:10,16	61:19 73:15
saw 141:15 167:6	28:19	secure 13:7 33:5	395:17 398:18	167:10 304:19
419:4	scientist 3:22 4:18	37:15 72:10	401:22	405:11
saying 6:22 22:6	8:21 61:19 101:12	187:21 331:11	seeing 147:8 150:6	sense 25:20 57:9
138:7 147:14	scientists 3:21 8:22	securely 161:3	226:2 233:15	79:6,22 95:11
169:7 181:20	34:6 61:20 63:8	security 7:20 11:13	235:20 356:13	98:12 117:12
202:11 263:20	63:12 125:13	17:3 32:4 35:13	366:13	128:9 137:10
264:3,6 271:14	156:5 194:1	50:16 67:13,15,21	seek 21:7	164:6 179:10
284:15 344:9	195:16 204:7	68:1 83:16 103:22	seeking 15:20	180:12,14 181:3
349:15 353:13	207:11 253:11	108:2 139:2	seeks 312:12	232:6 245:21
358:17	scope 295:9 417:3,6	166:22 169:11	seen 22:16 81:22	264:8 265:2
says 83:21 127:6	scoping 295:12	171:3 189:14	364:20 382:20	271:15 277:7
164:19 245:15	SCOWCROFT	236:18 241:1	411:3	307:11 314:10
274:15 399:19	1:22 110:3	243:2,20 245:14	segmented 36:9	337:1 361:2
scalable 179:1	se 237:6	245:14 251:7	seismic 236:20	384:18
187:7 189:21	sea 159:12 347:12	257:3 276:3 283:2	select 265:18	sensible 63:14
scale 20:4 115:18	search 230:15	289:1 308:12,12	selected 301:11	sensitivities 390:9
131:16 162:4,7	seat 165:12	379:6	selective 307:1	separate 75:20
177:5 220:3 249:2	second 7:16 8:11	see 64:12 79:7	self 120:11,21	78:13,18 98:9
249:3 279:12,16	12:17 23:13 29:17	84:10 87:14 90:8	121:21 163:20	116:20 117:3
314:22 315:6	30:10 31:18 50:12	98:5 103:15 109:2	self-protecting	129:21 132:12
336:4	53:10 65:4,18	109:8 122:19	151:19	separated 52:22
scaled 54:16	67:1 81:4 86:20	129:3,4,7,8	self-protection	66:2,10 78:10
scales 220:5	119:2 120:9,15	134:16 135:1	72:21,22 118:8,14	118:16 123:15
SCANA 290:9	141:11 163:10	141:14,15 142:6	120:1,17 163:20	196:17
scarce 202:22	166:3 168:3	145:12 161:7	self-sustaining	separately 77:12
353:3	223:11 255:9	168:18 172:9	76:18	404:14
scatterplot 193:17	258:10 285:20	174:5 175:17	semi 82:3	separates 29:2
194:14	288:10 290:20	176:20 177:2	Senate 156:21	separating 13:21
scenario 121:20	304:5 329:1,16	179:13 180:21,22	332:9 333:17	29:22 78:7
170:21 243:21	396:2	186:10 193:20	Senator 3:5 6:8,9	separation 15:10
244:12	secondary 93:6	201:19 206:4	9:8 12:4 32:19	30:19 39:11 40:2
scenarios 180:8	secondly 112:12	207:10 215:7,9	55:21 82:21	54:20 77:13 78:2
231:13 244:19	117:15 218:15	218:22 219:21	122:22 134:17	79:12,19 117:22
403:20,21	225:10 253:1	230:11 237:3	155:2 160:9	128:20 132:10,14
schedule 61:10	Secretary 33:7	245:9 250:6 263:1	165:17 287:3	133:7,14
164:19 223:10	318:19 323:12	268:12,22 272:14	288:14 299:1	separations 30:10
228:14	369:10 410:20,21	273:5,6 277:10	307:21 340:12	43:3 162:14
School 320:10	section 78:17	282:8 285:12	344:4,5 345:13	separator 196:14

sequence 402:7 405:2	397:9	shorthand 378:9	64:2,17,22 66:5	single 98:14 114:1 207:10 243:15 409:16
sequestering 247:7	shame 372:11	short-term 46:6	66:20 69:19 70:16	single-unit 242:12
sequestration	shape 128:11	143:2 258:18	71:9,16,22 72:20	singularly 178:22
210:12 246:21	shaped 192:21	395:1,3,22	108:1,9,13 143:17	sir 21:18 25:6 32:11 61:17 141:10 142:2 365:9 388:15
339:1 382:5	share 25:18 36:1	shot 82:22	144:16 145:7,13	sit 88:18 347:12
series 401:21	109:2 125:12	shoulder 43:21	147:1,2 163:13	site 57:4 74:18,21 75:4 142:10 170:17 173:1 179:12 210:13,15 234:15 242:15,20 243:11,16 292:10 292:15,16,18 293:11,19 295:10 295:16 297:1 298:6 315:11,13 337:1 352:2,3 377:3 401:11 403:8,9,9,10
serious 10:1 46:16	146:7 294:17	show 88:9 105:16	166:15 171:7	
103:9 165:11	304:3 394:10	210:18 211:6,9	185:17 186:11	
193:12,13 207:8	shared 206:10	322:6	201:20 228:1	
207:22 222:21	sharing 104:2	showed 69:7 245:2	241:21 247:7	
246:22 247:10	Sharp 1:22 109:22	418:13	267:5 274:11	
269:6 309:3 327:2	122:4,5 123:9	showing 125:12	290:4 313:19	
seriously 18:14	124:14 125:8	324:7 359:20	321:2 322:11,12	
73:8 270:14	128:15 129:11	shown 30:7 54:8	339:22 373:10	
415:18	130:11,22 131:3,6	118:13 201:10	418:6,7 420:7	
serve 43:5 320:3	131:12 133:20	206:7 226:12	significantly 38:13	
415:10	134:8,11,16,22	showstoppers	38:14 52:16 66:4	
served 50:20	135:9,22 136:11	241:17 245:9,22	67:14 68:13 72:6	
305:17	259:5,6 261:12	shutdown 59:20	90:4 108:18 118:2	
service 46:16	262:3,21 263:5,15	shying 112:9 113:7	118:15 259:15	
331:17,18 351:6	265:17 266:17	side 125:9 138:16	261:15 358:16	
358:2 359:5	269:3 385:11,18	139:15,17 140:6	416:15	
services 27:1	386:8,12 411:20	148:8 155:4,17	signs 282:8	
184:14 367:6	412:2 413:6,14,20	203:19 250:11,14	Silicon 320:1	sited 74:12
379:2	414:2,18 417:8	251:20 344:7	siloing 247:12	sites 60:3 75:14
serving 26:16	418:1,9 419:2,14	348:15,16 367:14	similar 102:7	79:9 80:1 129:5 158:5,6 214:12,12 242:12,12 243:12 243:13,14 295:11 295:13 396:2
299:7	419:19 420:11	367:14 387:3	168:20 198:16,17	
session 6:15 119:8	421:2	400:21	210:20 328:18	242:12,12 243:12 243:13,14 295:11 295:13 396:2
154:6 166:3 209:5	Sharp's 201:10	sideways 155:19	338:17	siting 78:20 171:7 243:18 258:15 377:14
229:13 285:20	Shaw 240:12	Sierra 74:10	similarly 196:17	sitting 13:15 17:4 132:19 139:14 219:17
286:4	sheet 101:10	Sigma 228:16	simple 27:22 63:21	situation 56:22 67:17 125:11 132:11 225:19 378:3
set 19:12 35:6 67:8	sheets 101:10	sign 141:14	123:3,13 159:19	situations 49:20 159:18
86:2 107:6 132:17	shelf 292:13 299:14	signal 88:11 331:8	179:8,21 180:5	six 17:6 33:15 48:19 180:22 228:16 235:10 281:7 311:13 343:19 372:12,13
153:11,16 155:10	shift 20:9 206:15	353:10 388:6,9,12	226:21 255:4	
228:19 242:8	shifting 185:7	389:13	259:20 383:14	
246:11 247:14	ship 251:3	signaling 87:22	simplicity 226:18	
264:5,12 268:3	shipped 46:10	signals 287:19	Simplified 296:8	
276:13 298:16	170:16 172:22	335:20 347:8	simply 71:1 79:8	
325:10,10 360:14	179:16 315:11	signed 298:5	116:7 131:8 135:4	
361:6	Shippingport	374:15,17	206:17 246:17	
sets 39:9	182:17 249:21	significance 17:20	254:10 262:4	
settle 264:10	shoot 347:11	signals 287:19	330:4,7 346:11	
seven 17:6 114:18	short 15:12 32:17	335:20 347:8	347:9 351:12	
114:22 175:15	33:13 50:18	signed 298:5	379:1,18	
184:7	118:10 126:10	374:15,17	simulator 246:4	
seventies 239:21	shorter 127:18	significance 17:20	simultaneously	
	178:10	significant 7:14	168:11 256:21	
		10:3 36:1 40:13		
		40:19 50:9 51:20		
		51:22 52:9 53:18		
		55:6 56:22 57:10		
		60:7,22 61:11		

409:22,22 410:5,7 411:10,11 sixfold 157:10 size 76:8,16 124:4 186:8 198:2 234:19 303:2 314:18 336:5 337:9 341:4,5 376:16 383:1 sized 179:15 skilled 20:19 23:4 skip 113:21 slated 317:4 slew 219:9 slide 30:7 74:5 290:18 299:22 324:22 359:20 slides 201:10 311:22 332:5 sliding 314:22 315:6 slightly 38:6 183:19 252:21 Slovak 208:14 Slovenia 208:17 slow 65:16 71:2 341:22 373:8 375:11,14 412:15 slower 342:5 slows 402:5 sludge 76:2 sluggish 71:2 small 5:12 30:13 31:19,21 34:11 78:11,16 106:12 147:17 149:4 161:18 185:16 186:11 188:14 197:22 217:19 219:13,14 226:13 227:2,11,16 228:11 233:15,16 233:18,19 234:3 239:7 240:10 246:12 247:8 248:1 250:13 254:9 262:9,9	264:17 278:22 279:6 281:8,9,10 281:11,12,16 307:18 312:15 313:15 319:18 328:12 350:19 368:3 370:11,22 371:6,11 372:9 380:6 398:19 401:22 407:4 413:10 415:2 418:5,12,19 419:8 420:9,17 421:3 smaller 186:5,16 240:21 241:9 245:13 275:16 313:16 314:10,19 smart 125:9 Smith 407:2 Smith-Kevern 2:15 5:6 288:8,13 293:9 365:9 371:9 smoothly 408:15 SMR 185:22 190:22 223:2 230:20,21 242:7 244:1 251:2 260:13 283:8 309:15 310:20 315:21 356:14,15 367:22 SMRs 186:9 191:1 192:15,20 224:9 230:13,14,14 242:11 243:18 250:22 282:10 308:3,8,16,22 312:5 313:21 315:10 snap 351:20 snapshot 320:13 social 60:13 61:1 80:21 220:17 267:13 308:9 societal 82:16 Society 2:19 307:17 Society's 308:1	socioeconomic 21:16 sodium 30:10 265:13 sodium-cooled 205:22 softballs 80:10 sold 386:20 sole 270:18 solid 84:16 solution 3:18 24:5 27:20 31:16 40:14 52:5 57:12 59:10 72:14 84:21 158:2 186:10 188:20 230:16 261:2 282:21,22 301:4 312:10,13,16,22 346:5,18,19 348:2 355:3 378:2 379:19 solutions 2:5 8:19 27:10,11 29:13 35:17 40:7,21 47:19,22 48:5,14 48:16 49:14 52:4 55:9 57:7 86:12 103:14 106:6 116:14 152:12 184:1,3 275:7 300:9 310:8 345:19 347:18 354:20 solve 27:21 40:20 41:16 43:9 75:12 75:16 82:6 83:8,8 104:18 168:10 230:10 solved 142:5 152:2 solving 79:10 84:3 152:13 Solyndra 366:3 somebody 7:2 86:5 135:8 137:16 140:10 148:16 154:16 213:11 282:13 372:12	374:11 413:9 someday 159:7 someplace 127:12 127:17 263:10,11 somewhat 241:1 407:12 soon 114:2 214:16 311:8 370:6 375:1 sophisticated 44:15 114:13 sorry 25:2 32:16 86:20 113:4,4 139:8 385:16 sort 82:3 85:17 108:8 138:15 139:11 178:9 181:19,21 241:13 256:5 272:13 285:16 329:3 346:7 350:14 351:19 355:13 359:2 378:8 402:19 404:17 405:10 sorts 379:11 sought 109:16 312:8 sounds 323:20 357:9 source 43:2 156:9 156:16,17 159:14 187:2 195:17 216:18 247:13 274:10 330:19 sources 221:10 225:21 275:22 331:11 386:22 South 208:15,16 298:8 Southeast 277:10 400:7 southern 301:18 306:10 320:8 337:6 sovereign 248:11 Soviet 195:19 so-called 121:11	space 114:22 250:17 352:22 353:2,5 354:9 358:7,10,12,16,21 366:12,21 376:13 376:14 377:4 378:8,14,15 Spain 208:12 spanked 371:10 spans 26:18 83:20 speak 107:18 236:10 speaker 193:8 200:22 209:4 speakers 8:1 9:10 178:10 288:1 303:1 338:11 speaking 47:3 230:15 246:18 307:22 speaks 251:7 399:8 special 5:12 68:2 182:10 299:12 300:4 307:17 308:1,3 356:15 specific 11:4 31:9 101:1 198:22 200:9,10 288:16 361:6 399:8 410:7 specifically 10:7,9 25:19 114:5 194:16 294:15 326:3 specifications 39:9 133:2 specifics 295:15 spectrum 41:1 243:9 speculative 64:1 speed 329:8 Spencer 2:22 5:21 345:6,9,12 355:22 357:2,19 359:14 367:12 378:7 379:8,14,17 398:2 Spencer's 376:12 spend 17:18 74:17
--	---	---	--	---

200:5 324:1	stages 44:9 388:19	380:14,14 396:3	173:7 192:6	stockpile 19:3
spent 8:4 13:20	stake 40:14	409:2	201:19 208:11	116:4
46:4 63:18 64:9	stakeholders 42:19	started 24:21 74:8	215:2 223:17	stockpiled 144:17
71:21 79:9,22	55:10 59:12	113:8 159:8	231:9 250:19	stockpiles 144:16
83:7 88:9 90:1	stand 218:7 318:14	161:21 165:11,19	254:3 257:6 259:1	stocks 200:16
112:16,18 120:11	standard 70:2,13	166:1 197:7 215:1	271:2 278:1	stone 325:10
120:16 121:4,6	125:3,5 181:9	308:4 319:15	279:15 280:20	stop 19:19 73:10
127:10 136:7	245:2 305:18	starter 174:7	294:9 322:11,19	162:19 207:19
153:7 155:3 158:7	319:20 336:15	starting 42:4 166:2	325:20 333:6	405:15
167:6 174:5 181:6	400:11,16	260:17 358:5	360:19 362:2	stopped 19:14
181:11,12 187:22	standardization	359:9 376:10	364:10,11 371:13	110:10 388:8
200:3 205:19	219:7 294:21	404:5	388:20 389:19	stops 175:17,18
207:13 215:5	300:19 305:3,8	starts 60:11 124:6	state-of 14:21	storage 13:4,16
220:1 288:4	standardize 305:15	148:21 176:10	Station 295:19	24:6 29:10,15
303:12 319:22	standardized 34:8	238:5 349:3	STATS 68:7	37:16,18 45:19
370:20 387:21	standards 34:22	358:15 402:14	status 206:9	46:7 51:18 55:15
393:20 394:19	35:2,6,7,13,17	startup 321:14	statutory 376:16	57:16 59:15 79:22
395:2,22 396:4,7	42:8 67:9,15 85:6	322:11 330:1	stay 45:8 220:9	121:3 124:2 129:4
401:15 418:2	104:20 108:3	startups 322:20	stayed 203:8	129:5 142:6,11
spikes 203:6	118:10 153:22	state 65:9 74:14,16	staying 128:12	144:4 151:11
spite 370:3	329:10 399:10,17	75:1 80:13 109:18	stays 24:9	158:2,4 181:14
spoken 116:11	standby 294:2	142:8 155:15	steadily 392:19	188:6 213:16
204:1	297:10 343:18	179:3 279:19	steady 322:5	259:13 261:16
sponsor 55:2	410:4	293:7 364:12	steam 184:11,22	263:18 357:21
320:15	standing 254:6	369:10 371:5	185:2	393:21 396:1
spread 89:21	350:9	383:18 384:22	steel 102:14	419:6
207:20 415:13	standpoint 129:15	387:9 394:8	steel-concrete	store 37:14 79:22
spring 311:12	238:11,12 342:20	stated 74:13	102:15	161:2 164:1
spurred 304:11	Stanford 2:14 4:20	statement 11:21	step 28:18 68:3	181:11
squared 177:1	4:22 209:6,9,10	31:11 81:6 96:14	108:12 109:7	stored 7:15 10:5
St 239:10	staring 325:2	138:7 210:2,4	126:15,20 127:22	46:5,9 50:10
stability 335:5,15	start 37:17 69:7	215:22 253:3	128:1 161:6,11	51:16 160:19
395:15	80:9 81:3 141:4,7	324:10 372:18	163:6 164:3	166:16 181:6
stabilize 69:11	142:1 149:10	statements 25:8	212:15 213:1	stories 321:10
stabilized 14:14	163:14,17 164:12	137:12,14,15	342:15 343:17	story 129:9 366:3,3
stabilizing 199:21	164:21 165:14,15	325:12	stepped 328:5	straight 388:18
stable 16:20 24:19	175:12,19,22	states 10:17 13:4,8	365:21	straightforward
194:9 195:1	201:7 213:2 231:5	13:16 14:17 17:4	steps 61:11 78:1	393:21 395:17
stack 268:18,18	232:20 233:21	19:15 20:6 21:13	328:6 341:8 381:4	strange 157:20
staff 207:14 241:22	260:15 269:19	22:2,5 24:2 33:17	392:3 396:3	280:10
245:14 374:11	277:15 288:12	34:19 49:15,20	stick 128:13 178:17	strategic 138:21
375:21	309:3 320:21	81:10 82:10 83:4	stified 145:11	strategies 40:11
staffer 369:3	333:12 339:16	85:5,9 87:16 88:6	146:8	66:21 68:5 153:11
staffing 241:10	349:1,19 353:15	88:21 92:10 94:9	stifles 348:14	353:22
stage 36:6 77:18	354:14 356:10,22	98:1 100:8,14	stifling 348:6	strategy 20:12
311:9	358:20 359:6	126:12 148:3	stimulated 304:3	39:16 42:15 45:3
staged 404:4	362:4,6 366:7	149:7 154:18	stock 46:9 157:5,9	45:7 46:1 51:21

57:9 58:12 138:6 258:4 298:12 366:7 stream 39:2 322:6 366:21 streams 197:6 street 1:15 213:2 263:7,9 391:16 strength 102:12 strengthen 233:3 strike 213:12 strived 309:13 strives 108:13 strong 18:22 33:7 40:20 85:2,4 189:6 366:16 384:21 392:19 stronger 282:9 362:17 407:15 strontium 76:12 struck 213:14 structural 224:19 structure 187:22 237:16 328:19 360:9 362:2,14,19 401:5 structured 334:21 357:11 360:4 structuring 356:20 stuck 375:13 students 361:16 397:7 studied 175:7,15 studies 66:16 68:6 72:19 118:4,13 210:18 295:12 381:9,15 385:22 401:22 study 4:15 5:13 68:20 73:7 390:7 390:8 402:2 stuff 122:14 214:8 214:11 235:17 260:15 380:9 390:12 401:16 style 383:22 Subcommittee 1:4	1:14 3:4 6:5 8:5 9:19 10:6 11:8,18 33:12 53:6,9 61:8 154:12 167:8,16 177:15 269:5 270:19 325:19 Subcommittees 154:10 subgroups 310:16 subject 55:18 137:17 155:14 156:18 256:5 365:14 420:18 subjected 398:8 Submarine 234:2 submarines 262:15 submit 329:18 submittal 301:14 submitted 13:1 53:5 133:11 297:3 319:1 328:10 subsequent 11:7 217:12 343:22 subsequently 217:18 subsidiary 48:21 subsides 114:3 215:5 217:19,22 221:13 225:11,16 226:6 252:20 272:4,6 277:13 285:10 329:14 390:3,4,5 subsidize 109:11 205:12 217:15 218:17,20 285:11 subsidized 44:5 99:3 201:21 215:3 215:4 218:5 246:20 subsidizing 202:6 204:18 218:9 219:12 221:4,9,13 subsidy 92:18 93:21 96:12 99:5 106:19 219:4 221:17 231:3	343:3 361:6,18 363:5 366:11 398:9 414:7,8 subsidy-free 97:22 subsistence 194:11 substantial 60:5 102:22 148:1 174:19 186:18 298:13 337:19 339:17 362:15 384:2 408:6 substantially 72:5 107:9 222:8 260:8 340:3 363:16 substantiates 319:2 substantive 244:13 substation 242:21 substitutes 199:16 sub-national 121:15 succeed 159:13 success 26:8 190:14 307:6 321:10 374:7 successes 5:6 188:21 successful 13:7 19:3 22:21 41:9 42:19 81:22 103:19 113:11 134:17 191:8 192:5 196:5 239:2 252:9 321:15 327:11 364:21 396:6 406:10 successfully 13:9 300:12 394:2 sudden 156:16 suddenly 95:12 238:4 suffering 156:4 sufficient 10:1 286:1 sufficiently 120:8 122:15 150:22 188:9 190:11 257:16	suggest 21:1 150:17 210:12 226:5 266:20 378:12 388:14 404:22 413:21 420:12 suggested 79:13 160:15 266:2 suggesting 15:12 17:8 115:5 suggestion 151:10 376:12 377:21 suggestions 301:1 313:10 suggests 199:3 330:11 suitable 16:1 54:9 54:10 295:14 suited 186:1 sulfur 289:11 sum 42:2 298:11 summarize 60:9 323:9 summary 46:21 306:7 316:18 330:4 Summer 298:7 summers 388:6 Superphenix 207:2 suppliers 271:8,18 supply 40:17 85:4 172:21 184:11 185:1,10 186:21 187:11 228:16 229:10 308:10 support 20:18 24:11 30:3 44:22 55:22 61:5 123:7 178:2 189:5 190:21 193:1 229:11 232:12 253:8 257:12 294:2 297:9,11,13 301:14 304:9 321:19 330:8 344:3,18 363:11 383:16,17 384:21	385:10 398:7 supported 93:3 191:3 supporting 261:3 318:6 324:18 supportive 85:17 supports 13:2 18:2 288:21 297:11 308:11 Suppose 110:8 supposed 235:16 367:16 372:10 394:20 415:22 sure 62:21 96:19,22 109:17 134:8,11 143:11 154:13 159:1 175:7 222:17 238:8 254:12 257:15 262:21 263:21 265:19,19 267:19 283:19 286:1,10 344:19 362:5 401:18 402:8 407:9 409:5 414:12 416:3 421:2 surely 190:15 surface 163:3 164:2 surge 397:6 surplus 143:17 144:16 175:21 Surprise 302:5 surrounding 196:12 survey 322:1 329:22 survive 157:2 234:8 survives 85:15 Susan 1:20 109:22 134:7 136:22 159:2 233:11 246:8 390:14 Susan's 149:16 sustain 56:15
--	--	---	--	--

sustainable 35:8	69:15 70:9 82:22	288:15 290:17	290:20 293:21	8:15 9:19 12:16
SUVs 388:9	92:19 94:8,20	294:9 304:5	296:20 341:17	13:12 22:3 27:15
Sweden 82:8	95:1,16 102:4	311:20 345:20	technically 43:13	28:8,9,18,20 29:6
208:12	106:5 117:3 126:4	355:20 377:12	88:10 122:8	30:4 32:3,14
Swedish 266:11	126:12 133:14	381:12 394:7,8	131:13 378:19	35:11,16 40:4
switch 62:10,16	134:3 135:3	413:9 415:20	technically-accep...	41:4,15 43:10,20
switched 136:1	142:13 160:16	420:16	104:19	44:9,14,18 46:15
Switzerland 208:12	165:3,12 175:10	talked 39:13 105:6	technically-comp...	49:1,2,10,14,17
synthesize 199:13	176:5,6 181:12	294:13,15 302:21	122:9	50:7,14 51:4,4,11
199:15	192:7 219:21	303:5 324:8	techniques 15:11	51:12 52:7 53:11
system 37:7 68:9	233:16 237:20	332:10 405:17	170:15	53:12 59:17 60:5
68:11,15,16 69:4	254:11 262:15	418:13	technological	60:13 72:10 80:22
69:8,14 81:19	263:21 265:4,6,8	talking 28:7 106:12	122:13 148:9,20	84:6,8 85:6 87:12
116:22 117:1	268:1,17 269:20	233:15 234:16	161:22	88:3 100:19 102:3
118:20 119:1	283:2 288:11	243:9 255:12,16	technologically	102:5 103:1,7
121:13 131:9,21	291:2 296:22	256:6,7 270:22	124:19	104:15 105:10
132:2,6 170:17	306:3 325:14	271:1,4 272:3	technologies 3:9,13	106:2,14 107:16
179:5 180:7 185:1	328:7 335:4	275:15 285:9	4:3 5:8 7:6 8:9	113:18 114:5,7,14
186:14 187:8,20	348:12 350:2	312:14 328:16	9:16 10:3,15,19	123:14 128:4,20
226:20 266:3	355:9,12 356:6	380:8,10 390:1,2	11:6,10 12:8,20	129:17 166:13,20
279:15 312:3	371:18 372:5,7	390:4 391:11,11	14:22 21:6,12	175:3 179:2
345:22 346:8,14	373:2 385:3	tanks 75:8 76:4	26:3,3,11 29:20	185:22 186:17
346:16 347:9	389:22 394:18	198:8	34:1 38:3,18 39:1	187:4 188:16
351:6,18 353:1	396:5 406:12	target 37:20,21	39:3,10,22 40:21	189:4,7,15,16,19
375:14 401:9	417:4	targets 38:2 42:16	41:19 42:9 43:4,6	189:21 190:3,18
406:17	takeaway 356:11	391:3	43:8 45:2 46:3	191:8,12 192:11
systemic 230:4	taken 50:1 136:21	task 40:13	71:8 82:18 85:10	192:22 207:8,12
systems 4:6 15:9	143:4 146:7	tax 217:1 218:13	85:11 100:13,21	207:21,21 221:5
65:2,12 71:2	193:19 231:4	220:22 224:12	105:19 107:8,14	222:6 223:3,21
105:17 119:3,9,11	252:1 282:3	287:12 294:3	152:22 153:6	230:9,18 231:20
167:12 259:16	327:16	297:13 302:15	162:5,10 166:6	232:3,8 233:4
263:18 279:8	takes 29:1 70:14	306:4 329:1,5	169:18 179:22	251:9,13 252:1,2
Szilard 202:19	95:14 112:19	330:19 343:8,9,13	190:10 191:16	252:6 258:19
S-E-S-S-I-O-N	114:18 115:1	380:5 383:16,16	192:4 204:10	261:19 263:2
287:1	150:16 194:20	385:1 387:16	217:17 218:9,12	265:19 280:17
	196:8 197:5	388:11,16,16,18	221:14 222:10,18	283:9,10 287:17
	242:19 243:19	390:1,3,6 410:3,5	225:14 261:4	288:9 302:22
	262:10 269:6	taxes 195:7 200:11	264:18 268:13	303:17 321:3
	327:14 347:5	taxpayer 144:19	282:20 295:2	338:12,14,18,19
	365:5 382:10	Taxpayers 361:13	300:17 305:19	338:20 339:2
	talk 51:3,4,5,7	team 41:14 328:4	310:12 322:6	347:2 348:10,16
	77:20,21,22 80:18	teamwork 301:4	367:4 380:7	350:15 354:17,18
	89:6 117:15	Tech 317:17	389:10 393:21	355:2 365:19
	167:17 170:12	technical 9:21 36:5	416:15,17,20	419:1
	208:3 224:8	37:5 41:20 44:20	420:5	technology-neutral
	225:10 261:19	119:14 123:4,6	technology 1:4	310:2,11 312:18
	264:1,5 272:20	147:1 267:12	3:17 6:5 7:12,18	teenaged 153:3
T				
table 64:15 139:15				
139:17 143:9				
148:8 150:11,13				
153:9 340:15				
tail 413:12				
tails 264:21				
Taiwan 208:16				
take 18:13 37:13				
44:8 46:13,20				
48:11 50:21 68:12				

tell 19:18 117:11 141:11 153:3 154:8 157:21,22 163:8 236:8 248:4 249:3 251:19 267:16 284:17 327:4 349:6,7 368:22 371:11 409:21	356:20 364:15 374:1 383:17 401:15 404:5 409:7 413:1,10 terrific 390:19 terrorism 64:4 66:7 70:22 72:8 87:11 Tesla 366:3 test 41:5 70:17 71:5 124:16 179:3 196:4 366:20 367:5 tested 196:6 testified 266:7 testimony 12:22 145:1 159:11 160:13,14 332:8 374:13 381:13 testing 45:5 279:18 316:13 tests 402:17,18 Tetra 317:17 Texas 298:8 320:9 397:4,8 thank 6:10 9:7 11:16 12:11 22:14 25:2,5,12 32:7,10 32:11,19 33:10 46:15 47:16 50:4 61:14,16,22 62:1 63:4,5 73:11,12 80:3,4 82:13 88:14 99:16 109:13 110:15 111:14,15 122:1,5 136:16 137:2,4 139:22 143:6 160:8 165:6 166:1 166:2 167:14,15 178:5,6 183:11,14 183:15 193:5,6 200:19,20 201:5 209:2,3 215:20,22 216:2,5 246:10,14 252:11 253:5,6 259:3,6 270:6	278:5 285:18 286:3 288:13 298:17 299:1,4 307:12,13,20 317:7 318:16 331:16,19 334:13 345:2,3,6,13,14 355:19,21 356:8 368:8 376:8,9 390:19 400:18,22 421:7 thanks 33:6 62:13 74:6 107:17 111:20 117:20 178:19 276:9 332:2 365:15 theft 19:8 66:12 72:5 120:5 121:15 143:18 theft-resistance 72:2 theme 395:14 theoretical 130:15 Theoretically 173:10 346:1 theory 120:18 124:18 134:2 thereof 351:8 thermal 13:13 54:5 98:13 113:21 115:15 116:8 119:12 126:17 172:5 206:6 239:6 240:3 258:5 315:4 the-art 14:22 thick 102:11 thing 21:9 47:13 81:8 88:6 94:4 98:4 120:9,10 152:6 153:20 159:19 216:20 224:21 226:7 228:8 251:6,10 252:21 260:5 267:17 278:6 281:6 293:2 305:11 312:4	321:17 325:7 343:15 347:16 356:19 361:1,12 367:2 376:1 377:4 377:11 380:18 383:12 394:16 399:8 408:21 415:13 things 23:16 24:14 43:11 47:9 51:2 100:18 105:15 117:10 128:9 132:9 149:16 162:2 164:8 166:7 216:11 220:6 222:7,22 228:17 229:5 233:8 241:21 244:5 247:16 251:4,20 252:14 262:12 266:1,13,22 267:13 270:4 284:11 294:13 301:5 313:22 324:2,7,20 326:4 347:3 349:20 350:20,20 353:15 354:10,19 356:21 358:3 360:2 366:18 375:17 397:14 399:5 402:5 403:10,21 404:3,12 406:12 413:14 414:6 420:6 think 12:2,4 27:22 39:6 46:22 57:12 60:18 69:2 71:1 81:13 82:7,8 83:11,18 84:2,13 84:14 85:12 86:11 88:5,19 95:20 96:17 97:2 98:4 100:10 103:3,9,17 106:19 107:4,19 108:19 111:2 112:1 114:10	119:6,14 122:22 123:9 124:9 125:5 125:10 126:22 127:9 128:1,7,7 130:8,9 131:15,17 132:5 135:13 136:4 138:17,21 139:4,12 143:12 144:13,14 145:1,6 145:8,22 146:16 147:16 148:13 149:16 150:5,22 152:5,11 153:18 157:18 158:1,13 162:20 164:5,7,8 164:17 173:21 175:8 178:12 204:5,17 205:1 206:1 207:7,20,22 208:19 209:10 218:10 219:11,22 221:11,21 222:14 224:13,21 225:3 225:10 226:4,5,6 226:12 227:3,15 227:20,21 230:6,8 230:11 231:2 233:3,8,20 238:22 239:3 240:18 242:3 245:15,16 246:11 247:10 248:16,20 249:13 253:4 254:15,16 254:18 256:9,12 257:4,8 259:19 261:22 262:1 267:15 269:4 271:3 272:15 273:14 275:10 276:6 277:10 279:11 280:15 281:3 282:7 284:1 285:19 290:2 297:2,15 298:5 301:7,22 306:16 308:7 313:8 327:4 328:21 329:5
---	---	--	---	---

331:15 332:12	thirds 76:20	350:10	317:6 419:20	420:1
334:9 338:19	thirty 47:6	throwing 22:20,22	timely 255:7	today's 9:22 116:15
339:2 340:15,22	Thomas 2:12 4:18	98:12	327:19	166:3 187:10
341:14 343:1,4,15	200:22	tie 418:22	times 69:11 75:22	189:3 196:2
344:1,7,17,22	thorium 181:17,19	ties 151:4 231:2	105:18 112:18,19	197:13 198:13
345:21 346:13	182:1,7,8,11,12	tightly 87:13	115:1 173:13	319:17
347:16 349:18,21	182:14,16,19	379:16,18	174:1 207:3	told 368:10
350:3 351:22	183:5 196:7,10,12	Tim 2:2 3:2	322:18 356:3	tolerable 138:4,10
352:4,10 354:13	196:13,15,21	time 8:3 16:16	timescale 120:20	Tom 77:20 201:3
355:14,15 356:19	197:1,9 200:17	20:13 24:10 25:7	time-being 158:22	209:3 216:13,14
356:19 357:1	420:5	28:20 29:15 32:4	timing 57:1,6	238:18 252:14
358:5,11 359:1,6	thought 81:7	32:17 37:18,21	231:17 311:15,16	265:22 269:4
360:7 363:8,9	124:15 140:3	39:17 41:20 44:1	title 347:5 355:9,12	270:8 299:10
367:17,20,21	141:16 146:10	50:1 58:9 61:22	367:16	308:15 309:12
370:15 373:5,7,8	202:21 253:9	65:1 73:13 76:10	toast 411:4	tomorrow's 10:12
373:11,13,20	255:16 256:5	78:1 86:4 97:19	today 6:15 7:4,7	tons 13:14 17:3
375:4,7 376:6,14	267:6 301:22	103:8 105:5	9:10 10:12 11:16	59:19 75:2 144:3
378:9 381:11	320:12 355:6	109:17 118:10	13:14 21:13,13	144:6,7 173:8,9
382:9,13 383:9	411:3	120:17 121:7	25:17 28:7,10	177:3,3 199:9
388:13 390:21	thoughts 56:3	126:1,8,10 134:15	32:8 40:6 50:6	200:10 207:1
392:2,5,9 393:11	225:3	135:19 149:2	51:2,14 52:9	214:5 289:9
393:13,19 394:14	thousand 275:18	155:16 158:16	53:15 64:15,20	367:15
394:16 395:4,19	thousands 16:21	160:4,17 163:10	65:21 67:16,20	tools 89:19 90:7
396:14,18 397:11	23:4 29:15,16	164:22 165:18	69:10 70:20 88:13	340:9
397:12,17,18	68:13 70:15	167:5 176:14,17	92:15 93:17 94:2	top 236:15 303:7
398:4 399:8,13	312:15	177:4 178:11	94:11 95:10 102:4	topic 32:9 53:7
400:3 403:8 404:5	threat 87:19	203:3 212:1 214:1	102:7 123:7	55:4 286:2 417:9
404:8,17 405:3	124:20 193:12,13	214:4 216:1,3	125:21 126:1,14	topics 11:5
407:15,22 408:4	threatened 326:22	219:1 221:16,20	127:7,7,8 128:21	total 65:14 66:3
408:11 409:8,10	three 57:21 64:20	221:22 222:20	141:21 158:18	69:7 224:5 226:8
410:9,13 411:15	69:9,11 100:4	244:7,22 245:1	164:12 166:4	297:20 382:16
412:8,21 413:21	105:8 111:20,21	260:17 261:2	168:9 183:17	387:19
414:3 415:19	112:18,19 122:11	266:7 270:1 276:2	184:8,12 201:14	totality 349:17
417:14,16 418:5	129:12 155:3	280:2 282:18	202:16 204:16	touch 114:2 335:16
420:1,13 421:6	156:20 157:10	286:2,6,9 288:3	208:2 219:16	335:19
thinking 128:1	167:21 168:6	318:5 320:17	224:15 225:19	touched 323:15
138:5,21 143:21	177:8 185:6 207:3	327:14 331:16	232:15,17 244:14	tough 148:9,10,21
173:22 247:12	216:10 225:21	335:15 338:3,5	250:18 261:1	220:1
261:15 269:6	233:13 258:16	341:21 354:4,6	265:2 287:6	toxicity 16:12
302:11 315:4	259:16 293:22	361:5,8 363:13	288:15 289:5	37:20,21 42:6
416:19	295:16 297:8	370:19 373:15	307:22 308:8	45:16 78:3
thinks 263:4	310:15 313:13	374:5 392:16	317:14 318:17	to-600-year 129:19
third 29:21 55:4	322:1 328:17	406:11 410:16	320:20 323:16	trace 265:4,7
66:5 151:4 163:10	350:12 357:1	415:21	345:14,17 346:8	track 103:22
206:16 238:17	368:14 375:13,16	timeframe 96:1	369:4 373:6,21	203:20 208:22
258:15 287:6	three's 214:3	122:17 127:18	388:2 391:19	266:3 352:9
396:5	threshold 225:11	143:3,4 311:12	397:10 417:1	tracking 175:16

tracks 45:9,22 130:9,11 131:4 363:5	54:3 66:11 73:1 117:4 118:1,5 123:15 126:21 130:5	221:15 223:17 230:10 244:7 259:21 263:16 264:7,13 272:18 272:22 273:2 379:18 409:16 417:6,18	304:12 307:2 309:22 310:15 313:22 322:15 325:1 328:20 336:4,22 341:8 343:22 357:1 368:14 373:17 375:12,16 376:10 382:20 388:6,19 392:8 393:13 401:1 405:17 419:8,15	212:14 215:13,18 290:11,12,14 293:17,21 294:4 296:21 302:15,18 303:16,17 336:10 344:13 407:19 408:16 410:13
tradeoff 153:15	traveling 119:7	tumbling 157:6	two's 214:3	uncertainty 212:10 213:4,5,6 290:21 291:4 303:2,8,11 303:22 306:7 316:7 324:21 339:10,22 341:9 364:14 393:15
trading 245:15	treated 357:6,16,17 359:10,12	tune 218:21	two-day 6:19	unclear 219:16
traditional 272:13 272:15 344:14 363:18 364:3	treatment 15:7 49:1,9,18	turbine 172:9 196:19	two-module 238:5	undercut 195:12
trains 279:13	trend 231:12 397:1	turn 6:8 23:13 47:5 168:3 216:11 229:5 233:8 246:5 259:4 324:3,20 355:11	two-step 291:10	underestimated 189:12
trajectory 392:1	Tri 320:6	turned 294:20	type 81:16 107:13 185:22 217:7 224:11 243:18,21 244:12 257:18 357:22 366:11	underground 187:21 188:6 236:2,4,6,8,11
transfer 41:20 72:10,12 74:5 107:5	tried 22:3 305:5	turns 101:6 203:1,4 388:1	types 243:22 279:21 280:3 290:21 292:22 420:6	underground-sited 172:17
transferred 105:9 197:8	trillion 173:12 321:6 382:17,17	TVA 192:17	typical 360:10	underlying 219:6 386:4
transferring 361:15	trouble 96:22 122:7 389:16	tweak 349:11	<hr/> U <hr/>	undermines 347:17 underpinning 408:2
transform 325:14	trough 205:2 220:10	twelve 385:16	UAE 251:21	understand 65:5 68:21 90:11 92:14 99:8 140:11 153:14 154:4 224:13 262:3 263:5,15 265:17 266:8,10 272:22 374:19 399:16 412:22 415:11,20 417:7,16,17,18 421:3
transformative 33:8 43:17	trucks 172:22	twice 173:14 176:11	UCS 107:19	understandable 37:19
transient 403:20	true 82:7 98:10 119:11 120:16 203:3 334:11 388:2 389:5 400:6	two 11:17 12:15 24:13 30:8,15 45:8,22 46:20 50:6 76:19 101:9 113:2,11 120:2 130:8,11,16 132:21 133:21 137:13 138:15,19 139:7,9,17 140:3 149:4,5 154:14 156:20 166:11,18 167:19 168:15 174:6 179:9 207:3 210:19,21 211:14 213:21 218:8 220:1,15 225:21 233:5 234:16 239:1 242:3 246:17 252:14,16 259:9 270:7 281:14,21 287:18 287:22 293:18 295:20 303:15	UFMFs 58:3	understanding 9:14 10:8 36:4 93:12,19 122:7,10 329:18 389:22
transition 56:18 188:10 190:9 351:21	truly 121:11 350:15		UK 14:20	understood 84:2 153:13 160:14
transitional 392:3	trust 43:6 267:18 267:19		Ukraine 208:11	
transitioning 351:17	try 7:9 12:20 21:10 51:1 57:17,18 82:15 89:20 104:17 110:18 172:1 204:2 212:1 213:6,7 228:22 256:19 263:13 266:18 279:11 300:19 302:12 319:3 348:9 413:2		ultimate 51:19 52:10 55:17 119:15 122:15 129:8 130:17 259:13	
transmission 185:13 242:18,20 404:11	trying 21:6 48:8 78:13 81:14 82:16 90:17 137:16 147:3 158:12,14 158:15 168:10,12 168:20,21 169:4,6 169:13 205:20 211:20 220:3		ultimately 50:11 179:7 231:22 240:11 251:15 307:8 396:6 404:8	
transmutation 79:13,20			unable 133:6 186:7	
transmutes 170:6			unacceptably 64:11	
transport 121:19 366:15			uncertain 330:10	
transportation 111:7,9 142:9,11 142:14 194:19 259:13 261:16 264:1 268:10 419:7			uncertainties 57:1	
transporting 111:10				
transuranic 30:12 54:20 117:5 120:1				
transuranics 29:3 29:5 30:1 53:1				

406:15 407:10 undertake 88:2 undertaking 138:22 underway 67:22 246:21 undisputed 10:17 undue 70:11 uneconomic 265:6 uneconomically 264:22 265:4 unexpected 155:2 UNF 55:8 56:17 57:13 60:21 61:4 unfold 359:8 unfortunately 67:16 178:9 364:7 364:19 unified 301:8 Union 3:21 8:21 61:19 63:7,11 195:19 unique 250:14 251:11 257:6 298:16 316:19 336:7 uniquely 251:1 unit 30:14 112:14 115:2 199:7 201:17 204:3 217:7 243:15 290:3,7 298:10 337:1 363:17 United 10:17 13:3 13:8,16 14:17 17:4 19:15 20:6 21:13 22:2 24:1 33:17 34:19 49:15 49:20 81:10 82:10 83:4 85:5,8 87:16 88:6,21 92:10 94:9 98:1 100:8 100:14 126:11 132:20 144:6 148:2 149:6 154:18 173:7 192:6 201:19	208:10,11 215:2 223:17 231:9 250:18 254:3 257:6 259:1 271:1 278:1 279:15 280:20 294:9 322:10,19 325:20 333:6 360:19 362:1 371:13 units 30:22 31:7 198:16,21 217:10 217:12 231:6 243:10,17 342:4,9 343:19,22 364:3 387:5 410:7 411:10,11 universal 206:1 universities 204:7 University 2:14 4:20 179:3 209:6 209:9,22 210:6 234:10 279:19 unknown 211:18 211:19 212:3 unknowns 211:18 211:19,20 212:3,9 212:9,11,17 unmatched 41:14 unmistakable 331:8 unrealistic 132:7 unregulated 340:21 362:12 363:19 386:6 408:19 409:14 unsuccessful 220:22 untested 290:16 339:4 upfront 218:11 227:7 235:3 370:4 403:5 uprates 27:11 393:6 uranium 14:1,8,11 16:13 17:7,13,15 26:4 27:14 29:2,4	29:19 37:22 54:19 75:21 76:16,20,22 77:5,7,7,8 90:14 91:3,4,7 110:11 111:1 116:19,20 117:3 119:4 125:17 145:3,4 146:18 158:18 159:12,14 161:1 170:20 172:12 173:9,20 174:8,11 175:21 176:6,7 182:5 196:14 197:1,10 200:14 202:21 203:3,4,5 255:22 264:19,20 265:1,3 419:22 uranium-235 77:6 uranium-236 77:5 uranium/plutoni... 16:17 UREX-plus 72:18 urge 57:18 urgent 326:18 330:16 usable 111:8 118:6 usage 194:22 use 16:4 27:4 38:8 42:14 53:12 56:4 89:20 97:13 102:9 121:16 131:1 146:17 148:17 158:10,20 159:7 160:20 171:17 175:21 182:12 191:15 200:16 210:15 263:6 264:19 265:5,10 270:10 277:6 279:7 326:1 361:3 371:10 378:8 381:3 389:19 useful 151:1 343:11 343:15,16 344:2,8 uses 28:9 52:7 76:19 186:16 276:18	usually 217:6 325:10 utilities 36:10,16 55:18 93:4 95:16 97:4 107:1 113:22 185:21 186:3,10 186:15 190:2 192:1,17 205:6 231:15 243:14 275:14 281:20 290:6,11 291:11 294:20 295:1 302:3,7 304:1,4 307:11 314:15 336:21 341:4 359:22 360:19 361:4,10 362:18 364:9 365:2 384:4 386:15,20 392:22 394:8 408:4 utility 96:10,18 97:3 114:1 187:12 187:16 192:15 193:1 223:16,22 231:4 259:22 260:1 261:6 275:17 292:10,16 294:9,22 296:2 298:15 304:18 314:4 332:17 360:21 362:2,17 362:22 364:12,14 381:10 386:6 408:5,8 utilization 9:15 119:5 145:3 146:22 176:3,8 utilize 20:16 152:22 153:6 172:11 U-233 196:6,8,13 196:15 U.S 10:8,21 18:18 23:17 24:10 26:1 26:18 27:19 28:21 32:3 34:21 35:10 35:11,15,18,22	40:4 48:21 51:17 72:12 83:14,14 89:19 90:2 92:7 92:12 97:3,4 112:16 144:15 145:9 170:16 177:7 184:8 185:5 194:4,22 195:8 210:13 211:3 227:9 238:9,11 247:18 249:7 252:15 254:7 256:6 271:12 280:4 283:21 298:12 301:19 398:4 <hr/> V <hr/> V 1:18 vacation 332:5 vagaries 24:17 vague 399:19 validate 403:17 validated 118:4 validity 139:20 263:19 Valley 41:10 74:7 74:12,21 75:21 78:22 79:2 85:19 85:21 298:9 320:2 valuable 189:18 393:2 412:8 valuation 11:9 value 14:7 20:16 174:1 186:11 265:8 314:6,7,12 417:10 variation 55:20 variety 89:12 118:22 161:13 various 79:21 109:16 128:13 173:22 180:8 314:3 403:20 407:6,6 vast 33:19 vehicle 81:20
---	---	--	--	--

231:20 304:16	147:22,22 148:14	114:21 115:3,11	357:7 364:13	73:16 75:8,12,16
305:2 363:7	149:9,14 162:22	155:22 163:21	365:1 368:22	75:16 76:3,4,14
vendor 105:21	169:1 186:9	176:21	369:6,19 370:13	77:9 78:3,7 79:10
vendors 36:10	203:16 231:18	volunteer 58:22	371:8,17,22	81:11,22 82:1
107:11 271:19	258:7 280:6 312:9	60:2,8,17 74:10	388:15 390:14	88:13 90:13 91:12
292:8 300:20	324:15 325:3	317:22 318:1,5	394:15,22 395:10	91:14 124:5,6
301:5 309:10	330:7 336:4	volunteers 60:20	395:16,17 399:5	126:5,9,12 133:4
315:21	338:14 340:9,19	vote 158:1	407:10,15 412:16	135:14 136:17
Venrock 2:20 5:15	341:12 380:15	voters 397:21	412:17 416:4	142:5,10 151:15
318:12 319:8,8	387:1 388:11	Vrain 239:10	417:9 420:16	151:22 157:18
328:4	404:5		421:2	158:12 176:13,20
Venrock's 319:13	viewed 393:2,8	W	wanted 98:20	176:22 181:6
venture 185:4	394:6	wait 161:7 325:13	109:21 117:11	196:17 197:12
319:8 320:4,13,14	viewing 140:4	372:1 375:15	124:16 128:17	200:15 210:11
320:20 321:1,5,9	227:17	waiting 151:2	138:16 156:13	213:12 260:7
321:18,21 324:5	views 46:16 63:7	232:18 369:16	259:8 278:6 282:7	261:16,21,22
325:7 327:7	107:20 139:10	371:10 375:16	305:15 309:19	262:1,1 264:6
329:12 330:21	vigorous 37:16	Wall 213:2 391:16	336:22 372:19	267:18 268:18
365:17 370:15	virgin 17:13	want 15:15 21:1	wants 72:11 98:5	270:17 282:15
404:15	Virginia 184:16	22:12 23:13 28:5	109:20 238:18	287:20 333:22
ventures 407:5	247:5 398:15	32:7 33:10 48:6	260:1 268:9	334:7,10 346:3,3
venture-backed	virtually 344:12	51:1,3,4,5,7 53:22	292:10 321:22	346:12,18,21
320:7	vision 25:18 30:5	62:4,15 73:12	394:17	347:3,6,18,20
versions 419:8	31:10 57:20 83:19	81:3 82:15 86:6	war 195:15 322:18	348:1,8,12,14,16
versus 103:13	127:6 128:11	86:22 89:6 96:15	387:22	348:21 349:11
124:12 315:13	148:11 300:8	96:22 97:11,22	warming 193:11	350:1,2,7,8 351:3
359:21 373:21	visited 247:3	98:8 99:6,9 107:2	195:6	351:12,15 352:18
386:15 392:10	Visiting 320:5	112:6 115:19	warrant 10:1	353:6,11,16,18,22
407:15	397:2	116:17 134:1	wars 193:16	354:3,6,21,22
vessel 179:17	vital 307:7	136:20 137:2	wash 159:4	357:20 358:1
197:21	vitrification 49:16	140:3 141:7,11	Washington 1:14	359:5 367:14,15
vessels 185:1	vitrified 14:14	142:20 143:8	1:15 209:13 309:1	376:16,20 377:19
viability 77:21 88:7	15:22 17:19 126:6	154:8 159:6 160:6	wasn't 92:12 182:9	378:1,2,10,14,18
viable 37:12 116:12	vocal 308:15	161:4 163:11	414:15	378:22 379:2,3,6
158:3 231:21	Vogle 298:7	186:16 195:3	waste 3:23 9:3	379:11 393:12
232:1 241:6	301:18 306:10	205:13 215:10	13:15,17,21 14:6	394:3,13 413:2,17
260:13 372:8	342:4,9	232:17 246:15,16	14:13 16:19 17:16	414:3 415:3,13,14
vibrant 284:9	voice 397:22	249:11 264:16	17:19 24:15 29:15	416:3 417:20
Vice 3:12,19 4:6	Voinovich 55:22	265:20 268:15	36:16,22 39:2	418:2,8,14,18
8:8,18 12:7 47:19	volume 16:3,7	269:7,22 274:5	40:2,15 41:7,10	wastes 29:8
47:21 48:3 167:10	38:13 40:3 42:7	276:21,22 280:12	41:16 42:20 45:9	wasting 128:6
view 57:8 68:15	45:16 52:12 65:5	280:16,20 284:9	48:17,22 49:9,16	watch 126:7 322:22
83:2 84:10 112:14	65:6,19,22 66:3	285:15 286:1,11	49:18 52:10,15	watching 162:12
117:13 123:13	71:7,9,12,17,19	293:1 318:9,18	55:6,17 59:21	417:13
124:8 126:2 129:2	71:21 75:18,22	321:21 330:4	64:18 65:4,7,19	water 5:8 26:22
129:10 131:8	76:1,7,13 91:15	339:13,21 345:14	66:1,1,2,3 70:8	28:15 31:21 35:22
135:12 146:6	112:12,14 114:15	351:15,19 352:19	71:10,13,17,19	38:21 40:22 76:21

92:16,21 113:14 114:19 141:13,20 155:22 159:12 160:16 161:2 171:6 172:16 176:9,21 177:2 179:1,14 180:7,9 180:15 181:13 182:12,19 185:12 186:17 187:8,15 188:15,19,22 189:3,7,19 190:3 190:22 191:14,20 192:3,10,20 194:17 199:12 202:12 206:4 210:10 214:20 223:20 224:3 230:21 236:14 237:2,17 242:21 250:16 258:11,13 261:1 277:5 278:22 279:7 280:8,11 281:9,10 282:16 288:9 296:6,8,19 300:17 310:12 312:3 319:19 374:16 419:14,15 420:4 waters 420:2 water-cooling 198:13 watt 197:16,19 Watts 298:10 wave 74:4 119:8 306:19 way 7:15 10:4 22:7 22:8 30:13 32:6 45:14 47:11 50:10 51:16 55:7 56:4 57:17,19 58:11 60:10 61:9 70:11 83:11 84:19 86:2 86:3 93:7 96:13 98:11 102:21 105:14,17 107:15 110:13 112:17	113:13 115:5 123:10 129:7 140:9 142:7 149:13 157:14 158:9,10 166:16 168:6 169:7,9 175:17,18 181:7 183:21 191:4 192:9 215:15 220:18 221:2,3,6 229:21 230:2 232:20 241:19 242:19 247:2 254:21 263:3 268:12 269:16 275:11,14 276:3 279:4 285:19 296:18 304:19 315:14 323:7 339:12 348:10 351:15,18,19 354:12 367:18 369:21,21 370:16 370:21 371:19 392:3 393:9 396:15 399:19 407:7 413:11 417:10 ways 57:11 129:22 157:14 173:22 179:9 203:11,12 204:12,12,13 227:16 281:18 285:10 287:18 349:4 393:6 407:7 weak 315:18 weaken 68:1 weakened 90:6 weapon 66:15 144:11 weapons 18:8 73:3 73:5 111:7 118:5 200:13 203:4 207:17 377:20 weapons-grade 19:4 weapons-usable	64:5 89:21 website 324:11 327:16 417:13 week 332:5 weeks 320:12 322:1 328:17 Weinberg 196:2 202:19 welcome 6:4,12 46:19 61:21 73:17 318:19 well-designed 10:22 well-established 186:20 well-known 150:1 went 156:15 157:10 165:8 240:12 245:1 271:10,13 271:20 281:6 286:14 291:13 320:1 334:3,4 369:14 370:10 388:7,9 419:7 421:9 weren't 168:16 West 41:10 74:7,12 74:21 75:21 78:22 79:2 247:5 Westinghouse 2:4 3:16 8:16 32:14 32:22 33:14,18,19 34:1,5,15 35:1,20 38:10 40:10 41:4 41:8 42:22 44:4 45:11 46:14 103:2 103:4 205:8 278:2 296:11 300:4,15 319:19 320:17 we'll 25:7 46:22 110:1 136:16 165:22 178:13 229:14 311:17 we're 25:6 26:16 32:15,16 48:8 49:8 73:17 83:11 83:22 113:20	121:2 125:5 136:2 136:3,14 140:14 140:15,17 141:3 142:1 150:13 151:14,22 155:12 157:20 160:4 164:20 165:14 183:7 184:18 211:21 233:15 244:12 246:22 247:1 248:8 249:2 254:19 264:10 265:18 272:3 287:5 302:5 331:1 331:2,9 369:15 we've 91:16 159:16 163:22 177:11 178:9 212:21 215:1 219:9 237:19 265:13 267:10 280:19 403:22 414:21 wheel 283:12 White 310:5 313:5 369:8 white-haired 162:11 Wigner 202:20 Wilcox 2:8 4:11 183:22 willing 145:17 212:22 217:15 335:2 353:12 418:10 Wilmington 26:13 wind 154:6 221:20 222:15,19 225:17 272:5 383:21,22 384:15 399:14 windmills 272:7 window 282:12 win/win 301:4 WIPP 126:9 134:4 135:4,13,15,18 136:18 175:21 wise 413:21 wish 47:12	wishful 143:21 witness 25:9 32:13 47:16 73:14 298:20 318:9 331:21 witnesses 369:2 414:5 woman 193:22 194:3 women 194:10 wonder 134:5 375:21 wondered 134:1,22 266:4 377:12 wonderful 94:7 149:4 wondering 239:2 391:6 wood 382:11 word 53:13 97:13 271:6 318:3 345:22 390:21,22 words 108:5 131:12 136:11 270:10 283:20 345:22 360:20 work 39:11,13 46:2 52:2,3 53:19,21 54:8 55:3,11 82:11 104:13 105:16,16 108:11 113:13 114:14 132:13 142:8 145:2 147:3 154:9 158:21,22 162:3 162:17 179:3 181:17 194:12 211:21 216:9 290:18 298:6 301:13 308:4 317:3,17 327:5,8 327:9 336:15 342:21 343:7 355:14 365:19 369:22 372:4 381:11,13 385:3 385:10 395:13
---	--	--	--	---

402:21,22 403:6 403:14,15,17 404:6,19 405:14 405:14 406:17 407:7,21 408:14 411:8 414:6 workable 312:12 342:19 394:22 395:10 worked 85:19 162:5,6 209:19 302:6 316:15 319:16 333:21 340:15 346:15 workforce 20:20 26:15 162:8 257:3 working 32:22 68:15 129:20 156:6 162:10 167:18 209:18,20 250:4 317:9 333:5 333:16,20 339:8 370:2,18 373:1 379:20 workman 198:1 works 39:12 104:13 179:5 182:16 328:12 333:18 workshop 309:1,11 world 14:19 19:13 26:12,13 27:7,7 33:3 34:16 35:3 36:2 49:21 63:20 81:21 87:22 88:4 88:19 89:5,8 100:15 110:21 125:22 162:17 193:13,19 199:22 200:12,16 208:3 208:20 250:7 257:7 259:1 263:4 277:22 280:1 281:11 282:9 291:1 331:1,4,9 350:16,18 371:10 371:16	worldwide 35:13 199:9 world's 26:21 47:6 280:21 world-changing 320:15 world-class 34:6 worried 371:6 worry 25:8 122:16 139:1 151:8,9 worse 195:6 worth 119:18 worthwhile 88:1 worthy 327:18 wouldn't 113:7 150:8 161:17 219:17 367:13 412:16 417:8 wrap 270:4 344:9 wrapped 283:14 write 310:5 writing 369:5 written 12:22 31:11 202:10 313:22 332:7 369:17,21 378:11 wrong 68:3 93:13 225:6 264:12 266:14 345:21 370:3 388:6 389:13 405:5 wrote 369:14	19:15 27:2 29:16 29:16 31:6 37:20 46:14 48:19 61:6 66:17 68:13 69:16 70:15 79:18 81:9 85:20 87:17 95:15 95:20 113:9 118:16 120:12 121:4 122:11 124:2,5,10,11 125:10 127:7,19 131:22 132:22 134:3 135:5,9 148:15 149:5,7,12 155:3,3,7 156:21 167:19 168:16 173:3,18,19 174:14,15 175:10 177:5 178:8 179:6 181:12 182:18 184:2,5 185:6 199:1,10 203:9 220:15 222:2 226:4,10 228:6 231:10 232:15,18 242:3,20 252:9 253:18 262:8,16 264:4 272:7 281:7 281:14,22 284:7 292:17 301:10 303:19 304:12 307:2 308:20 312:20 319:11 321:1 325:8 328:6 333:11,14 335:10 335:13 338:2 341:8,16,22 347:12,13 352:12 354:6 372:14 373:7,14,17 374:3 374:8 375:13,16 382:8,10,20 384:8 387:8 390:11 394:20 397:13 414:19 yield 134:6 328:11 409:18	yielded 146:4 yoke 355:5 young 204:6 323:13 324:15 328:21 330:8 younger 41:18 405:10,13 Yucca 123:22 125:2 130:13 346:22 347:11 353:4 354:8 359:7 377:1,2 378:10,14 378:18 379:3 391:15 396:13	\$200 218:21 253:19 \$22 75:3 \$25 268:15,20 \$27 324:1 337:5 \$3.25 156:18 \$30 157:11 \$300 253:20 330:1 337:13 \$31 337:7 \$32.5 74:22 79:2 \$36 297:20 342:13 \$4 157:10 336:18 \$40 390:12 \$5 157:10 \$5-to 224:10 371:2 \$50 319:20 330:1,2 \$54 342:16 \$54.5 297:21 \$6 224:10 336:18 \$6-billion 371:2 \$6.7 79:4 99:3 \$61 388:1 \$70-to 386:3 \$700 202:16 \$73 388:2 \$7500 194:7,22 \$8 342:8 \$80-million 238:2 \$9.4 74:18 75:4 \$90-per-megawa... 386:3 \$900 323:19	
	Y		Z		
	Yankee 319:16 year 27:6 125:20 155:4,5 187:18 188:2 194:8,21 250:1 289:15 304:6,6 308:5,22 311:14 317:5 319:22 320:22 332:9 342:14 373:19 381:22 382:19 384:7 400:15 years 16:22 17:6	19:15 27:2 29:16 29:16 31:6 37:20 46:14 48:19 61:6 66:17 68:13 69:16 70:15 79:18 81:9 85:20 87:17 95:15 95:20 113:9 118:16 120:12 121:4 122:11 124:2,5,10,11 125:10 127:7,19 131:22 132:22 134:3 135:5,9 148:15 149:5,7,12 155:3,3,7 156:21 167:19 168:16 173:3,18,19 174:14,15 175:10 177:5 178:8 179:6 181:12 182:18 184:2,5 185:6 199:1,10 203:9 220:15 222:2 226:4,10 228:6 231:10 232:15,18 242:3,20 252:9 253:18 262:8,16 264:4 272:7 281:7 281:14,22 284:7 292:17 301:10 303:19 304:12 307:2 308:20 312:20 319:11 321:1 325:8 328:6 333:11,14 335:10 335:13 338:2 341:8,16,22 347:12,13 352:12 354:6 372:14 373:7,14,17 374:3 374:8 375:13,16 382:8,10,20 384:8 387:8 390:11 394:20 397:13 414:19 yield 134:6 328:11 409:18	zero 52:20 zeroed 199:9 zero-carbon 344:10,16 zingers 80:11 zone 241:8 243:3 244:10	Z	\$200 218:21 253:19 \$22 75:3 \$25 268:15,20 \$27 324:1 337:5 \$3.25 156:18 \$30 157:11 \$300 253:20 330:1 337:13 \$31 337:7 \$32.5 74:22 79:2 \$36 297:20 342:13 \$4 157:10 336:18 \$40 390:12 \$5 157:10 \$5-to 224:10 371:2 \$50 319:20 330:1,2 \$54 342:16 \$54.5 297:21 \$6 224:10 336:18 \$6-billion 371:2 \$6.7 79:4 99:3 \$61 388:1 \$70-to 386:3 \$700 202:16 \$73 388:2 \$7500 194:7,22 \$8 342:8 \$80-million 238:2 \$9.4 74:18 75:4 \$90-per-megawa... 386:3 \$900 323:19
			\$		
			\$1 74:17 199:2 \$1.5 382:17 \$1.98 197:18 \$10 244:8 254:2 337:13 \$100 205:20 382:18 \$103 200:5 \$112 384:8 \$12 156:21 336:21 337:8 \$13 156:21 \$130 388:2 \$140 388:7 \$15 156:19,20 \$150 202:13 \$16 200:3 336:22 337:8 \$18.5 297:18 342:8 \$2 197:16 297:22 382:17 \$2.9 321:6 \$20 157:11 337:14 390:12	\$	\$200 218:21 253:19 \$22 75:3 \$25 268:15,20 \$27 324:1 337:5 \$3.25 156:18 \$30 157:11 \$300 253:20 330:1 337:13 \$31 337:7 \$32.5 74:22 79:2 \$36 297:20 342:13 \$4 157:10 336:18 \$40 390:12 \$5 157:10 \$5-to 224:10 371:2 \$50 319:20 330:1,2 \$54 342:16 \$54.5 297:21 \$6 224:10 336:18 \$6-billion 371:2 \$6.7 79:4 99:3 \$61 388:1 \$70-to 386:3 \$700 202:16 \$73 388:2 \$7500 194:7,22 \$8 342:8 \$80-million 238:2 \$9.4 74:18 75:4 \$90-per-megawa... 386:3 \$900 323:19
				0	
				0.5 176:9	
				1	
				1 1:9 3:10 83:2 223:11 245:6 336:4 353:19 381:22 384:4 391:17 1,000 27:6 244:5 1.5 373:19 1:30 286:5,12,15 287:2 10 8:2 48:9,12 69:18 155:4 167:4	

179:6 181:11	47:3 214:4	289:4 292:17	28 289:14	217:11
198:20 199:8	150-megawatt	333:14 382:8	288 5:2,5	40-some 81:9
200:10 202:17	242:16	384:5 392:17	299 5:9	40-50 222:2 277:22
205:6 235:13	16 397:13	200 135:5,9		400 177:5 397:10
242:19 245:3	160-atmosphere	200-megawatt	3	421 5:25
262:8 288:2	197:21	195:17	3 5:4 28:3 207:13	440 206:5
299:21 301:6,16	167 4:2,5	2002 294:7	211:2 287:5 311:1	450 177:3
308:19 319:4	17 85:20 184:14	2003 209:19 387:22	384:9	47 172:6 319:11
337:15 338:2	297:3	2004 300:8 319:12	3:32 421:8	48 3:18
382:10	178 4:8	2005 218:16 271:9	30 1:12 18:5 19:15	
10,000 124:1,13	18 301:14 323:10	288:17 293:22	90:15 149:7 163:5	5
127:19	380:20	297:8 301:13	173:3 174:13,15	5 29:19 98:14 132:3
10,000-year 125:3	180-megawatt	305:22 340:12	175:10 178:8	144:10 181:10
10-minute 77:22	319:17	369:1 381:2	217:11 226:4	5.5 373:17
165:4,5	183 4:11	2008 244:22	335:9,12	50 83:15 127:7
10:30 165:8	1903 101:7	2009 321:4	30,000-to-50,000-...	144:3 149:7,12
10:43 165:9	1927 102:2	201 4:17	126:19	174:1 184:5
100 46:14 90:16	193 4:14	2010 1:12 5:5	30-year 176:16	198:12 239:7
121:4 144:7	1944 202:18 205:19	288:16 293:18	300 29:16 30:14	249:22 252:9
347:12 354:6	1947 326:19	294:6,11 295:5,9	37:20 121:4	321:1 352:12
100,000 382:1	1950 242:17	297:18 304:6	122:11 124:4,10	397:8
100-megawatt	1957 249:17	2011 299:17 301:20	129:18 148:15	50-cent 224:4
199:7	1963 74:22	301:21 342:15	185:2 347:13	50/50 294:17 304:2
104 17:6 33:16	1971 202:10	2012 299:16	300-to 135:16	304:4
289:2,17 291:8	1973 225:5	2020 260:18	300-to-600 125:19	500 29:16 124:5,10
392:12,16 398:7	1975 74:9 79:14	2030 27:6 260:18	300-to-600-year	124:11
11 321:8	1977 326:20	382:7,7,18 383:1	126:22	500-megawatt
1100 184:22	1980 77:3	383:6	300-year 130:6	172:4 237:20
115(d) 213:21	1985 271:7	2035 289:15	143:3	52 291:5 292:5,14
12 3:9,11 174:8	1989 291:7	2050 381:2,18	307 5:12	300:13 307:6
180:18 321:7	1994 326:20	391:4	318 5:15	54 35:21
380:20	1995 34:10	2058 200:11	32 3:16	540 180:19
12,000 177:3 185:5	1996 68:7	209 4:20	332 5:18	
12:47 286:14	2	216 4:23	345 5:21	6
1221 1:15	2 4:4 107:2 298:10	22 321:6	35 79:18 113:9	6 3:2,4,5 98:15
125 187:16	336:6 373:19	22nd 1:15	350 130:12 239:12	6,000 343:10 410:6
128 173:19	384:7 393:14	23 319:11 325:8	356 5:23	60 95:19 120:12
13 89:4	394:2	235 91:9	36 155:2,7	188:1 254:4
1334 131:22	2,000 175:16	24 311:11 317:3	38 199:10	384:11
134 177:8	320:21	240-megawatt		60,000 13:14 17:3
14 192:17	2,000-kilowatt	172:5	4	173:8 367:15
140 184:2	194:20	25 3:14 17:15 75:22	4 14:5,13 15:20	600 122:11 384:1
148(d) 213:14	2.3 194:2	90:14 91:7 155:7	90:12,18,18,20	600-year 122:17
15 31:6 155:5 165:1	20 71:20 83:13	264:3 384:8	91:12 144:10	135:17
179:14 245:3	91:16 155:5 219:4	250 27:5	4,000 59:19	62 3:21 33:17
337:15	278:12 284:7	255 245:1	4.5 187:17 319:20	625 75:2
15,000 32:21 46:13		26 297:4	40 83:15 144:6	64 382:6 383:5
			173:18 203:8	64,000 382:2

65 179:14

66 254:2

7

70 238:1 289:5

700 289:9

700,000 173:9

73 3:23

75 91:18 92:1

236:14

794 320:20

8

8 373:22

8:00 1:14

8:01 6:2

80 3:25 120:12

314:16 362:10

83 381:2

84 193:18

850 172:10

9

9 3:7 173:12 193:13

301:16

90 29:17 91:21

128:4,6 284:7

369:4

90-some 281:8

95 132:2

96 14:3 90:15 91:22

92:2

97-98 159:7