

PRESIDING OFFICIAL COPY
OFFICIAL TRANSCRIPT PROCEEDING

FEDERAL TRADE COMMISSION

MATTER NO. P064201

TITLE ENERGY LABELING

**PLACE FEDERAL TRADE COMMISSION
601 NEW JERSEY AVENUE
WASHINGTON, D.C.**

DATE MAY 3, 2006

PAGES 1 THROUGH 240

PUBLIC WORKSHOP

**FOR THE RECORD, INC.
10760 DEMARR ROAD
WHITE PLAINS, MD 20695
(301)870-8025**

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES FEDERAL TRADE COMMISSION

ENERGY LABELING PUBLIC WORKSHOP

WEDNESDAY, MAY 3, 2006

9:00 A.M. - 4:00 P.M.

FEDERAL TRADE COMMISSION
601 NEW JERSEY AVENUE, N.W.
WASHINGTON, D.C.

MODERATORS:

JAMES KOHM

LAURA DEMARTINO

HAMPTON NEWSOME

Reported By:

Susanne Bergling, RMR-CLR

A T T E N D E E S

1
2
3 JENNIFER THORNE AMANN American Council for Energy
4 Efficient Equality
5 KARIM AMRANE Air Conditioning and
6 Refrigeration Institute
7 ANN BAILEY Energy Stock Product Labeling
8 Group, EPA
9 DAVID CALABRESE Association of Home
10 Appliance Manufacturers
11 BERNARD DEITRICK Consumers Union
12 CHRISTINE EGAN CLASP
13 ANDREW FANARA Environmental Protection Agency
14 REBECCA FOSTER Consortium for Energy
15 Efficiency
16 DOUGLAS JOHNSON Consumer Electronics
17 Association
18 DAVID KLINE JVC
19 JOE MATTINGLY Gas Appliance Manufacturers
20 Association
21 CHRISTOPHER PAYNE, Center for Energy Environmental
22 Policy, University of Delaware
23 BECKY RAIZMAN Federal Trade Commission
24 STEVE ROSENSTOCK Edison Electric Institute
25

1 LAWRENCE WETHJE Association of Home
2 Appliance Manufacturers

3

4

5 A U D I E N C E S P E A K E R S

6

7 NATASCHA CASTRO National Institute of Standards
8 and Technology

9 NOAH HOROWITZ National Resources Defense
10 Council

11 J.B. HOYT Whirlpool Corporation

12 RICHARD KARNEY Department of Energy

13 JILL NOTINI American Home Appliance
14 Manufacturers

15 MARK SHARP Panasonic

16

17

18

19

20

21

22

23

24

25

1	C O N T E N T S	
2		
3		
4	INTRODUCTION AND WELCOME	
5		
6	SESSION 1: GENERAL LABEL DESIGN.....	5
7		
8	SESSION 2: REFRIGERATOR LABEL DESIGN.....	13
9		
10	SESSION 3: LABELING FOR HEATING AND	
11	COOLING EQUIPMENT.....	157
12		
13	SESSION 4: TELEVISION LABELING.....	196
14		
15	ADDITIONAL ISSUES AND WRAP-UP.....	239
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

1 P R O C E E D I N G S

2 - - - - -

3 I N T R O D U C T I O N A N D W E L C O M E

4 MR. KOHM: Good morning. My name is Jim Kohm.
5 I am the Associate Director of the Enforcement Division,
6 the division that is responsible for doing the review of
7 the Appliance Labeling Rule.

8 I was trying to think of a joke this morning to
9 start off with, and I could not come up with any
10 appliance labeling humor, so there is extra credit for
11 anybody who can fill in that gap during the day.

12 You also may not know it, but you are witnessing
13 an historic first this morning that you can tell your
14 children and grandchildren about. This I believe is the
15 first workshop where the FTC has actually paid for its
16 own coffee, and there is plenty of it, so take
17 advantage.

18 I just wanted to take a brief moment to begin
19 with and thank everybody for attending today's workshop.
20 As you know, Congress instructed us last August to
21 review our Appliance Labeling Program, and we have taken
22 that task very seriously. Our goal is to provide
23 consumers with the most valuable energy information
24 possible and to do so in a form that is easily
25 accessible to consumers, all the while accomplishing

1 this goal with the minimum cost to industry.

2 We could not possibly meet these expectations
3 without your help, both here today in the form of your
4 comments and in the form of written comments that you
5 have submitted and hopefully will submit in response to
6 the Commission's Federal Register Notices.

7 The Commission was instructed by Congress to
8 begin this process within 120 days of enactment of the
9 legislation. We met that deadline by publishing an
10 Advanced Notice of Proposed Rulemaking in November of
11 2005. In response, we received 28 comments, many from
12 the people in this room today, and Congress has required
13 that we complete the entire process by August of 2007,
14 and we fully plan to meet that goal exactly on time, if
15 not before.

16 That may seem like a long time as we are sitting
17 in this room today in the spring of 2006, but there is a
18 lot of work to be completed, including consumer research
19 that we plan to conduct based on the designs that we
20 will discuss today and your comments to those designs,
21 and a Notice of Proposed Rulemaking that we hope that
22 you will all comment on.

23 I want to maximize the time for your input
24 today, so I will not go on much longer, but I do want to
25 conclude with two brief remarks.

1 First, the job of the FTC staff today is to
2 listen and ask questions. Any opinion that any FTC
3 staff express, therefore, is solely their own and not
4 that of any particular Commissioner or the Commission as
5 a whole.

6 Second, we will be sticking to the schedule
7 today. That could mean that a moderator would cut
8 somebody off or that somebody would not fully get to
9 voice their opinion about a particular issue. It is not
10 personal. The moderators will be trying to make sure
11 that key issues are discussed and that a variety of
12 points of view are put on the record on each issue. If
13 you do not get a chance to fully voice your opinion
14 about something, the record will be left open until May
15 17th for written comments, and we will take those
16 written comments every bit as seriously as those
17 comments that are made in the room today. And if we can
18 get all of your comments and efficiently move forward,
19 there is a chance that we could go home early.

20 Again, thank you for attending and thank you in
21 advance for your insight and for your cogent analysis.
22 It is invaluable to us in making this rule.

23 With that, I will turn the proceedings over to
24 our true appliance labeling expert, Hampton Newsome.
25 Thank you.

1 MR. NEWSOME: Thanks, Jim.

2 I am Hampton Newsome, an attorney in the
3 Enforcement Division, and I think I know most of you.
4 Welcome aboard. It is great to see you, and it is great
5 to meet some people that I have only talked to on the
6 phone over the last couple years face to face and also
7 some new people. I hope today will be interesting and
8 productive. We are looking forward to hearing your
9 views on the various issues we are going to talk about
10 today.

11 Before we get into the substance, I have a
12 couple of administrative things, and first, I want to
13 introduce -- I brought my attorney today -- Ms. Laura
14 DeMartino. She is an Assistant Director in our
15 division. Also, Becky Raizman, who is not here, she is
16 troubleshooting right now -- oh, there she is right over
17 there. Becky has done all the heavy lifting on this
18 workshop, and we really appreciate her help in setting
19 this up.

20 A couple of basic administrative things. The
21 bathrooms are located kind of on the other side of the
22 building. Go to the front hall and face the elevator,
23 take a right before the elevator and then a left, and
24 they should be there, and someone suggested that it
25 helps if people bring bread crumbs along so that they

1 can make it back here, but it is pretty easy to find.

2 We ask if you have cell phones, any electronic
3 devices, to turn off the ringers during the meeting.

4 And also, we will have a lunch period planned. In your
5 folder, there is a list of places that you can eat
6 nearby for lunch.

7 In terms of participation here, we were talking
8 right before the meeting, I think most everyone in this
9 room was in a meeting last week at DOE and has been to a
10 lot of these meetings together, and generally, we do not
11 plan to do anything that different in terms of
12 procedural issues. If you have a comment or a question,
13 just raise your tent card so we know that you are ready
14 to speak.

15 The folks in the audience, if you have a
16 comment, what we are going to do is we are going to ask
17 people in the audience if they have comments at a
18 certain time, and if you come up, make sure you identify
19 yourself for the record so that we know who is speaking.
20 The folks around the table I have been told do not need
21 to identify yourselves for the record, but you are
22 welcome to do that, just so people in the audience know
23 who is speaking.

24 We are going to try to keep this informal. We
25 do not have time set aside for formal presentations or

1 speeches or that kind of thing. Most everyone has
2 submitted comments, and so a lot of the basic opinions
3 and positions are known. We are hoping that this will
4 be a time to kind of work out issues and have a dialogue
5 on the issues. Obviously some people will have
6 comments, and they will want to give long, substantive
7 comments, but we want to keep away from the ten-minute
8 speech, that kind of thing.

9 We have some folks on the phone, also, and I
10 just want to check and see if anyone is on the phone now
11 so we know who is there. Is anyone on the phone?

12 **(No response.)**

13 MR. NEWSOME: Sounds like no. Could you check
14 with Becky and make sure that there is no problem there?

15 MS. DEMARTINO: Absolutely.

16 MR. NEWSOME: Okay. Well, we are going to start
17 with Session 1 to talk about general design issues, but
18 before we do, why don't we go around the table so
19 everybody can identify themselves and the organization
20 they are with. We will just keep it at that for now and
21 then we will launch in. Why don't we start over here
22 with Joe.

23 MR. MATTINGLY: My name is Joe Mattingly, I am
24 with GAMA, Gas Appliance Manufacturers Association, and
25 we represent gas and oil furnaces and boilers and gas,

1 oil and electric water heaters and gas space heaters and
2 hearth products.

3 MR. WETHJE: Larry Wethje with the Association
4 of Home Appliance Manufacturers. We represent mostly
5 the manufacturers of what we consider light goods,
6 refrigerators, clothes washers, dryers, dishwashers, et
7 cetera.

8 MR. CALABRESE: Dave Calabrese also with the
9 Association of Home Appliance Manufacturers.

10 MR. DEITRICK: I am Bernie Deitrick with
11 Consumers Union. We publish Consumer Reports, which
12 some of you have probably read. I have been involved in
13 testing large appliances for 15 years and looking at
14 that energy guide the whole time, so...

15 MR. PAYNE: I am Christopher Payne with the
16 Center for Energy Environmental Policy at the University
17 of Delaware. I am an energy efficiency researcher who
18 specializes in energy consumption behavior and
19 comprehension of energy information.

20 MR. JOHNSON: Good morning, I am Doug Johnson
21 with the Consumer Electronics Association. I am senior
22 director of technology policy. CEA is a high-tech trade
23 association representing about 2000 companies,
24 manufacturing, consumer, audio, video, IT, wireless,
25 mobile electronics and so forth. We obviously also

1 represent television manufacturers.

2 MS. BAILEY: I am Ann Bailey. I manage the
3 Energy Stock Product Labeling Group at EPA.

4 MR. ROSENSTOCK: Hi, I am Steve Rosenstock,
5 manager of energy solutions for the Edison Electric
6 Institute. We are the trade association of
7 investor-owned electric companies and combination
8 electric/gas companies.

9 MS. AMANN: I am Jennifer Thorne Amann with the
10 American Council for Energy Efficient Equality. We are
11 a nonprofit research association focusing on energy
12 efficiency.

13 MS. FOSTER: Rebecca Foster with the Consortium
14 for Energy Efficiency. We are a membership organization
15 of volunteer energy efficiency program administrators,
16 like utilities and state energy offices around the
17 country.

18 MR. AMRANE: I am Karim Amrane representing the
19 Air Conditioning and Refrigeration Institute. ARI is a
20 trade association representing manufacturers of central
21 air conditioners as well as commercial air conditioners
22 and air filtration products.

23 MR. KLINE: Hi, David Kline, JVC. We are a
24 television manufacturer globally, and we also do other
25 consumer electronics products.

1 MR. KOHM: I am still Jim Kohm.

2 I just want to point out, these are tricky mics
3 in that if you get just a little bit too far away, the
4 recording gets bad, so it is better to be a little too
5 close than too far away as we move forward. Thanks.

6 MS. DEMARTINO: And I am Laura DeMartino.

7 **SESSION 1: GENERAL LABEL DESIGN**

8 MR. NEWSOME: Okay.

9 This morning, we have got the first session. It
10 is basically broken up into two periods of time. We
11 will take a break in the middle, but I expect it to be a
12 wide-ranging discussion on the various label designs
13 that we are looking at and some discussion about the
14 current label.

15 We have several different questions we would
16 like people to address over the course of the morning,
17 and before we jump into it, I just wanted to give a
18 brief overview of where we are and some of the labels we
19 are looking at but do not plan to talk a long time about
20 it.

21 Let's start off here with the current label. It
22 is up there. This label has been in effect since 1994.
23 Before that label, the label had primarily cost
24 information on it. The label we have now is a
25 comparative label using what we often call continuous

1 style that has for the refrigerator label, this is an
2 example, you have a market range on either end of this
3 graph, this bar graph, and the individual energy use of
4 the product is put there on a carat with a little
5 triangle there. The label appears on refrigerators,
6 dishwashers, clothes washers, room air conditioners,
7 heating and cooling equipment, water heaters and pool
8 heaters. We also have labeling requirements and marking
9 requirements for lighting products and plumbing
10 products, but they do not use the Energy Guide label.

11 Now, as part of this proceeding, we are looking
12 at several different alternative label designs, and some
13 of these have been looked at in earlier studies and
14 particularly the ACEEE study that was done a couple of
15 years ago. This is essentially a revised version of the
16 current label, which takes some of the clutter out and
17 consolidates some of the detailed information on the
18 bottom and moves some of the descriptors around, uses
19 different fonts, enhances the bar graph so that it is
20 easier to tell that it is a bar graph.

21 Also, you will notice the font for Energy Guide
22 on top, our graphics people tell us that the Energy
23 Guide font that is used on the current label is no
24 longer available, and people often ask us questions
25 about, well, how do I do this? So, one of the things we

1 are looking at is to use a font that is easily available
2 to everyone. So, this is just an example here of one
3 that we are looking at. It is not a final decision or
4 anything like that. That may throw some people off,
5 though, so I wanted to mention that.

6 Another alternative to look at is what is often
7 called a comparative label. This one uses a star
8 system. It is different from the current label in that
9 generally when these labels are used, the stars or
10 whatever is being used there and the categories, the
11 categories on the label, are based on a comparison to
12 the minimum energy standards. The current label just
13 shows the models that are on the market, and it helps
14 people compare the product to the range of what is on
15 the market, but this actually is a comparison to the DOE
16 minimum energy standards or the energy standards that
17 are applicable in the particular case. This is a
18 fundamental difference between those two types of
19 labels, and it is something that we will talk about this
20 morning more.

21 The third alternative that we are thinking about
22 is one that is fairly new, and I am not aware that it is
23 used anywhere else in the world, and this essentially
24 takes the graphical format of the current label, the bar
25 graph, and combines it with a comparison to the DOE

1 minimum energy standards so that you get a percentage as
2 the primary descriptor on the label. One thing that
3 this does that is different from the current label is
4 that because it is a percentage over the DOE standard,
5 each label across the appliance types, the bar will go
6 in the same direction, if you will, that the higher the
7 number, the more efficient the product.

8 Under the current system, we have for
9 refrigerators an energy use descriptor, kilowatt hours
10 per year, whereas with room air conditioners, the
11 descriptor is energy efficiency rating, and so those
12 bars are going different ways. So, this is something we
13 have not had feedback on, and we are hoping that people
14 will provide some today.

15 Essentially, I just want to emphasize that
16 everything is pretty much on the table at this point.
17 These issues are all open, and so we want to get as much
18 feedback from you on the problems you see with these
19 various designs and the benefits, and that is what we
20 are hoping to cover this morning.

21 To kick it off, I would like to start off with
22 getting people's views with where we are now with the
23 current label, issues such as what are the perceived
24 problems with the current label, what is the practical
25 use of the current label, how are consumers using this

1 now, and also, the broader issue of what is the goal of
2 the label, what should the label be achieving.

3 So, with that, I will open it up to thoughts
4 people have about that, about where we are now with the
5 label and what we are trying to fix and where we are
6 trying to get to.

7 Joe?

8 MR. MATTINGLY: I think we are going to cover
9 this a little bit later this afternoon, but a problem
10 with our products, with furnaces and with boilers and to
11 some extent water heaters, is that we believe consumers
12 do not rely on the label at all, because the first time
13 they see the label, they are the proud owners of a new
14 product.

15 MR. CALABRESE: Hampton, I might reserve some of
16 my comments until later, but we are going to have
17 comments on the new design and some of the research we
18 have done. I think overall, the research that we have
19 conducted actually just a couple months ago shows that
20 the current format is generally acceptable and usable by
21 consumers. There are some changes that need to be made,
22 and I think you have addressed some of these in at least
23 the Figure Number 1 that you had presented. It does
24 provide consumers with information. There are perhaps
25 some practical issues, but as I will discuss later, we

1 believe that it can be best managed through the current
2 continuous style label, certainly not going to the
3 categorical label, which our research showed significant
4 issues and consumer confusion when reviewing them next
5 to a continuous style label.

6 Then we will have some comments, too, on your
7 proposed alternative, which, again, I will reserve until
8 we get to that portion of the discussion.

9 MR. NEWSOME: Chris?

10 MR. PAYNE: I wanted to back up a step and talk
11 a little bit about the current label and what I think
12 both the research that AHAM did and the research that
13 ACEEE did identified as problems with the current label.
14 I think we can all agree that there are --

15 MR. NEWSOME: Christopher, could you get a
16 little closer to the mic?

17 MR. PAYNE: There are issues associated with the
18 current label and in the way that consumers understand
19 the information that is on the label. In particular,
20 the current use of the label in the research that ACEEE
21 did shows that -- and other research that has been
22 done -- shows that consumers do not really get a sense
23 of the range of energy consumption of products using
24 this bar graph. Typically when a consumer looks at this
25 label, they do not necessarily understand that the 617

1 and 698, kilowatt hours in this case, are available
2 models on the market, and so the ability of a consumer
3 to compare the energy consumption of the particular
4 labeled product with other products available is fairly
5 strongly impaired in this current state.

6 Another thing that has not been mentioned at all
7 and was not shown on this graphic but I think does bear
8 a lot of mention is the interaction between this label
9 and the Energy Star labeling process and particularly
10 the location of the Energy Star logo on the current
11 label. Again, that is a significant problem that we
12 have seen in research in the field. Unfortunately, the
13 way that the current Energy Star logo is placed on the
14 label, it tends to be located in the available white
15 space on the label. The available white space on the
16 label in the case of an efficient product would be to
17 the right, for example, in this case of the carat.

18 So, in effect, the Energy Star logo ends up
19 being placed at the end of the scale that uses most
20 energy. That results in a sort of cognitive dissonance
21 with the consumer that the Energy Star logo, which is
22 supposed to be an indication of energy efficiency, is
23 being placed in the range that would indicate that, were
24 the comparison graphic effective, it is using the most
25 energy. So, that is another issue that I think needs to

1 be addressed.

2 Finally, I wanted to turn to some of the AHAM
3 research that was done and talk a little bit about
4 differences between the AHAM research and the ACEEE
5 research. One of the things that the ACEEE's research
6 did fairly carefully was look at consumer interpretation
7 of the label in terms of how well did they make purchase
8 choices based on the information that was being provided
9 to them. Toward that end, consumers were provided with
10 labels that showed products that used very little energy
11 and products that used a lot of energy and were then
12 asked, "Okay, if you were concerned about energy
13 efficiency, which product would you purchase?"

14 We saw differences in the ability of consumers
15 to make a purchasing choice based on the various types
16 of labels. In fact, the current label performed rather
17 poorly in that choice. Consumers fairly regularly
18 misinterpreted the label and said, "I would buy this
19 one," meaning the more consumptive model, even if they
20 were asked specifically, "Which model would you buy if
21 you were trying to buy the most efficient model?" So, I
22 think one issue that I see with the research that was
23 done by AHAM is it did not provide that ability for
24 their respondents to test the comprehension of the
25 label.

1 The second issue I would point out with the AHAM
2 research was that at least in the information that I saw
3 available in their report on the FTC web site, they
4 incorrectly labeled a product that used a lot of energy
5 as an Energy Star model. The Energy Star logo was
6 placed on a product that would not qualify for the
7 Energy Star logo. Consumers were then asked in their
8 test procedure about the relationship between the model
9 and the Energy Star logo, and not surprisingly, there
10 was a fair amount of miscomprehension taking place
11 because a highly consumptive appliance was being
12 identified as energy efficient. So, I thought that a
13 lot of the method that AHAM used in that study was very
14 useful, and I would encourage follow-up studies to be
15 done, but I think that some of the results that came out
16 of that research are questionable because of this label
17 design issue.

18 MR. CALABRESE: And I do not want to monopolize
19 the time, but if I could just respond briefly --

20 MR. NEWSOME: If you can respond briefly, we can
21 go over that and then come back to you.

22 MR. CALABRESE: If you want to do that --

23 MR. NEWSOME: Sure, I think she had her tent up
24 first.

25 MS. DEMARTINO: And just put it up like that so

1 we know you are in the queue.

2 MS. AMANN: I just wanted to comment on a couple
3 of comments Bill made and not go over all of the points.

4 One of the questions you raised was use of the
5 label in the marketplace by consumers, and our research
6 showed that while there is a broad recognition that the
7 Energy Guide label is a source of energy use
8 information, people recognize the yellow label and the
9 logo, but they actually report limited usage of the
10 label and a limited recognition of the specifics of the
11 label, and one way we found that was by talking to a
12 large number of current appliance shoppers, people who
13 were either in the market for an appliance or had been
14 within the recent past, and when we showed them several
15 different label designs, they were not able to correctly
16 determine which one was the current label. So, that
17 reflected their limited usage of the label at the time
18 of their purchase decision.

19 Another point in addressing the usefulness of
20 the label I think gets down to an interpretation of the
21 purpose of the label. I think all of the labels shown
22 can provide customers some information about how much
23 energy a product uses, but we would argue that there is
24 also an energy-saving component to the original
25 legislation as well as Congress' intent in the 2005

1 Energy Policy Act calling for a labeling program that
2 helps consumers save energy, not just provides them
3 information about energy consumption, and the research
4 showed that there are a number of improvements to the
5 current label that can be made, maybe in our opinion
6 more modest improvement in that area with an improved
7 continuous label and a larger level of improvement to
8 optimize the energy-saving component of the label with
9 categorical style.

10 MR. NEWSOME: Steve?

11 MR. ROSENSTOCK: Thank you, Steve Rosenstock,
12 Edison Electric Institute.

13 Obviously the label has gone through changes. I
14 remember older labels that actually showed a range of
15 costs for either electricity or natural gas or fuel oil
16 that kind of showed here is a national average cost, but
17 here is a range of actual costs that you might see based
18 on a typical usage of the product. I know there were a
19 lot of complaints about the "clutter" on that, but
20 again, it all depends. You cannot please everybody with
21 a label, that is one thing to really consider, is that
22 there is no such thing as a perfect label. Let's be
23 honest here, that is number one.

24 Number two, when you get right down to it, I do
25 not think the current label really does a bad job. I

1 mean, I am talking as really a third party and as a
2 consumer who has bought products in the past. Maybe it
3 is my engineering background, but again, if you look at
4 the ANOPR, which kind of showed the dishwasher label, it
5 shows the information -- if I am looking for energy
6 information on that dishwasher, for example, uses least
7 energy, 194, uses most energy, 531, this model used 500,
8 that tells me pretty much in terms of energy consumption
9 what I need to know about that product based on a
10 standard test procedure that was done by the Department
11 of Energy.

12 Again, different people have different
13 interpretations of labels, but I think there needs to be
14 a recognition, number one, that some of the appliances
15 have become so much more efficient that regardless of
16 what they are doing, they are probably going to save
17 energy over the old appliance that they are saving.
18 That is one thing that is sorely being missed in all of
19 these appliance labels.

20 So, like I said, there are ways to show
21 information, there are different interpretations of
22 information, but when you get right down to it, also, it
23 is that this is just one source of information that the
24 consumer can use. There is Consumer Reports. There is
25 the Energy Star web site. There is utility web sites.

1 There is manufacturer web sites. There are so many
2 sources of information that the consumer can get to
3 before they go into that showroom or before they call a
4 contractor that, again, in terms of consumer studies,
5 one thing also is what other sources of information are
6 you using besides the Energy Guide label to make your
7 purchasing decision for the product.

8 Thank you.

9 MR. NEWSOME: Let us give David a chance to
10 respond to Christopher, and then we will swing back over
11 to you guys.

12 MR. CALABRESE: Thank you.

13 I think, also, in answer to one of the questions
14 that you asked, what is the goal or the purpose of the
15 label, the purpose of the label is to provide consumers
16 with energy usage information so that they can make
17 purchasing decisions. Certainly a consumer is going to
18 look at a particular product, look at the energy usage.
19 That is not going to be their only determinant to buying
20 a product. There are product features. There are
21 different types of products.

22 When we talk about the refrigerators in one of
23 the other proposals made here to merge the categories,
24 they look at side-by-side refrigerators as opposed to a
25 bottom-mount refrigerator, top-mount, all offering

1 different features, in-the-door ice and water, using
2 different amounts of energy, that they make their
3 decision based on the performance and the features that
4 they want.

5 The problem with the categorical label is that
6 it directs consumers to buy a certain product. When you
7 have an A through F scale or a star scale, it certainly
8 shows the consumer, "Ah, this is a four-star product, I
9 have got to get that," when, in fact, it may not mean
10 much more than this product uses a very fraction amount
11 less energy than the three-star or the two-star.
12 Clearly in Europe, where the categorical label is used,
13 it is seen as a means to direct consumers to purchase
14 certain types of products.

15 In fact, I wanted to respond to the comment that
16 our research did not really test and analyze consumer
17 perception or understanding of the label. In fact, we
18 cite to -- and we have pages of it -- the actual
19 comments from the consumers, and there are comments on
20 the current label, and the variation that we tested on,
21 similar to this label here, was that it provided the
22 energy usage information that they needed. The
23 categorical approach, many, many comments were that this
24 provided information that seemed to indicate that this
25 was a better product, that this four-star product was

1 like a four-star hotel or a four-star or five-star
2 restaurant, so it must be a better product.

3 What it does not recognize is that the four-star
4 product may have different features than the one-star,
5 and different consumers have different needs, different
6 purposes for the particular appliance. Some are
7 low-income, they cannot afford the more expensive
8 four-star product that may be a thousand dollar
9 refrigerator. Their price range is more in the \$300 to
10 \$400 range, and the energy usage information in the
11 current label tells you, "This is what it is going to
12 cost you per year to run this machine."

13 Again, we will discuss this more perhaps later,
14 but one of the other fundamental problems with the
15 categorical approach is that between a one and a two and
16 a three and a four-star, the difference in operating
17 cost could be minuscule. It could be a dollar per year.
18 It could be 50 cents per year. To essentially push
19 consumers into one type or another is ignoring all these
20 other facts and consumer utility for different types of
21 appliances.

22 So, I do not want to monopolize the time here,
23 and I will be discussing more of this later, but our
24 research clearly shows that there was a comprehension
25 and understanding of the different labels, and that was

1 one of the main comments with the current continuous
2 style, that it provided the type of information that
3 they felt was important and necessary for their
4 purchasing decisions.

5 MR. NEWSOME: Okay, thank you.

6 What we are going to try to do this morning,
7 right now we are going to focus on the current label,
8 the goals, the problems. We are going to try to go
9 through each of the alternatives we have and talk about
10 maybe some additional alternatives. Obviously the
11 discussion is going to bleed into other topics, but
12 thank you.

13 I want to note, Christine Egan is here. Thank
14 you for coming.

15 My lawyer tells me that Bernard was actually the
16 next on the queue, so we are going to go to him and then
17 come back to Rebecca.

18 MR. DEITRICK: Finally, a nice lawyer.

19 I do want to address the categorization but not
20 in the way that the new label will address it. I wanted
21 to address it in the way the old label addresses it, and
22 that is the breakdown of the models that are used to
23 compare the current model. I have Energy Guide stickers
24 in my office that had the same "uses most" and "uses
25 least," there is one model in that category. So, the

1 comparison that is offered to the consumer is pretty
2 much worthless.

3 The other thing that happens with this sort of
4 comparison is you are not really exposed to the other
5 options that perhaps changing within a category may give
6 you. Going from a side-by-side to a bottom freezer may
7 offer you better energy savings than going to a
8 different model within a side-by-side model. So,
9 expanding the range that or the number of models that is
10 used in the comparison pool will give more information
11 to the consumer about how that model does relative to
12 what is actually available.

13 MR. NEWSOME: Thank you.

14 Rebecca?

15 MS. FOSTER: Well, I think I would like to
16 challenge us to get back to some more basic questions
17 about the Energy Guide label, and I think we have thrown
18 around some problems that we see, that the label is not
19 effective and in different areas, but my question is, it
20 is not effective in achieving what objective? So, I
21 think we have heard a few different ideas about what the
22 objective of the Energy Guide is.

23 David was saying it is to provide consumers with
24 energy that they can then balance energy use against
25 other attributes they want in their products. What I

1 heard Jennifer say was a little bit different in that it
2 is to provide information with the objective of
3 increasing energy efficiency of consumer purchases, and
4 I am curious -- and I understand Jim's earlier comment
5 about FTC staff opinions being just that, opinions --
6 but I am curious to know if the folks here from FTC have
7 tackled this question at all about what is really the
8 intent of the label, how has that changed from the
9 initial legislation through -- based on the 2005 EPACT,
10 and how can that be used as kind of a basis for us to
11 work from today?

12 MR. NEWSOME: Well, I am not aware that this has
13 ever been addressed specifically by the FTC. My
14 knowledge of the legislation is that there is not a lot
15 of information there in terms of guidance. The label
16 has traditionally been one that has a lot of technical
17 information on it, but in terms of whether the staff has
18 a position on the overall intent or whether we have ever
19 publicly provided one, I do not think we have, and I do
20 not know if Laura and Jim have any other thoughts on it,
21 but...

22 **(No response.)**

23 MR. NEWSOME: Okay.

24 One question I have, though, related to that is
25 there is, as Jennifer was -- oh, go ahead.

1 MS. DEMARTINO: I am sorry, I do have one
2 thought, and I just wanted to point out that Hampton, of
3 course, is much more aware of the background but that
4 the Energy Policy Act of 2005 does direct the Commission
5 to consider the effectiveness of the Consumer Products
6 Labeling Program in assisting consumers in making
7 purchasing decisions and improving energy efficiency,
8 and I am quoting directly from the Act, and that is put
9 forth in our Advanced Notice of Proposed Rulemaking.

10 So, I do think, while we have to, of course,
11 consider this in the context of the original Energy
12 Policy and Conservation Act of 1975, the congressional
13 language in the 2005 Act may shed some light on what our
14 goal is here today.

15 MR. NEWSOME: And just to add to that, so
16 clearly we have that information from the statute, but I
17 guess my question -- and I would like us to explore this
18 more -- is if you have on the one hand the goal of
19 providing information to consumers and on the other hand
20 the goal of ensuring and promoting energy efficiency,
21 are those goals really, in practical purposes, on the
22 ground, with a label -- is there a real difference in
23 those goals, and if there is, how does that manifest
24 itself in different label designs?

25 We heard a little bit about that, but if anyone

1 has any thoughts on that as we go through here, we would
2 like to hear about that.

3 Karim, I think you are next.

4 MR. AMRANE: With respect to central air
5 conditioners and heat pumps, we feel that the labels do
6 a pretty good job. I think it conveys to consumers
7 energy consumption of the product, so we are not really
8 advocating for any particular changes to the label.

9 However, the issue for us is like the same issue
10 as Joe mentioned before, is that the way that -- the
11 fact that consumers are not using the label to make
12 purchasing decisions, because they do not see the label.
13 It is not like a situation where you go to the showroom
14 and you look at the label. That is not how it is done
15 for central air.

16 So, I think we would be more interested in
17 exploring the means to convey the information to the
18 consumers. So, that would be I think our interest as
19 far as ARI is concerned, and maybe we can use
20 directories, like we have our directory, to convey
21 information through those directories. So, that is what
22 we would like to explore with FTC, a means to really
23 convey the information rather than make changes to the
24 label itself.

25 MR. NEWSOME: Okay, and we have a session for

1 that this afternoon where we will talk about that. That
2 is an important point.

3 Okay, Christopher?

4 MR. PAYNE: Thanks.

5 One, I would like to quote from 42 USC 6201 the
6 statement and purpose of the original Energy
7 Conservation and Policy Act, number 5, "To provide for
8 improved energy efficiency of motor vehicles, major
9 appliances and certain other consumer products." So, in
10 fact, in the initial '75 legislation, there was a
11 direction that this would call for improved energy
12 efficiency.

13 To that point, I would like to caution us to
14 make distinctions between sort of opinions and matters
15 of provable fact. I think particularly in issues of
16 consumer comprehension or purchasing decisions, it is
17 very easy to fall into the role of a purchaser. I buy
18 refrigerators; therefore, my opinion of what a label
19 says or does not say must be accurate. I want to make
20 the point that it is accurate to me, but that does not
21 mean that it is accurate to the American public, and I
22 would suggest that the people in this room are probably
23 not adequately representative of the American public at
24 large. So, I do want to make that point of data versus
25 anecdote and caution us to make policy choices based on

1 data.

2 A second point I wanted to address is the
3 difference between qualitative and quantitative
4 information. AHAM made some comments in their response
5 to FTC about the flaws in ACEEE's research method based
6 on their qualitative survey design, and yet the
7 information that was just provided was, in fact,
8 qualitative information. I find it very useful that the
9 information that you received from the people who
10 responded to your survey talked about how they interpret
11 that label, but those open-ended responses to questions
12 are not statistically valid results.

13 Testing of consumer comprehension in which you
14 place people in a choice circumstance and then test
15 their accuracy in responding to a result is a
16 qualitative, statistically valid difference. Both are
17 useful. The qualitative information can inform, for
18 example, interpretations of what might be a more useful
19 comparative scale. When we did qualitative research on
20 the current Energy Guide label, we asked people, "Well,
21 what does this bar mean to you?" And they told us, "Oh,
22 well, if you want it to be a scale, you should be
23 putting scale markers on it, because that is a trigger
24 in my mind to tell me that is a scale." And we said,
25 "Hmm, that is an interesting idea." So, we put scale

1 markers on it, turned it around, tested it
2 quantitatively, and found that, indeed, people
3 interpreted that label more accurately than the current
4 labeling.

5 So, again, both methods are very useful and can
6 inform this discussion, but I think ultimately we need
7 to use that quantitative data to inform FTC's final
8 opinion.

9 MR. NEWSOME: We have a hand up in the audience.
10 Why don't we get a few more comments from the table, and
11 then we will open it up to the audience if anyone has
12 any comments, and then we will move on to a new topic.

13 David, then Ann.

14 MR. CALABRESE: Actually, I will just briefly
15 respond to the last comment about the qualitative versus
16 quantitative.

17 Yes, in fact, I was bringing examples of
18 comments made by individuals in our survey; however,
19 those anecdotal comments, of course, are backed up by
20 statistical numbers that show that the preference
21 clearly and the confusion clearly regarding the
22 categorical versus the continuous style were there, and
23 these were just comments made to support the numbers
24 that clearly showed that distinction.

25 But going back now to the issue of what the

1 purpose of the label is, I think that clearly the
2 statute does provide the language that was just
3 provided; however, it does also provide that the purpose
4 is to provide energy usage information, and we should
5 also think back to the purpose of the label back in
6 1975, which, of course, I was not involved at the time,
7 but the purpose then had been because there was no
8 label. There was no means for a consumer to determine
9 at all what the difference was between one product and
10 another. So, the purpose here was to say, "This is the
11 amount of energy this product will use," as the example
12 provides here, "This is what it is going to cost you in
13 dollar terms if you were to purchase this and use it
14 over a year's period of time."

15 So, at the time it was not meant and it still is
16 not meant to drive energy efficiency. It is designed to
17 give the consumer information. If that improves their
18 own internal energy efficiency in their home, if it
19 improves the efficiency of their budget, well, certainly
20 that is part of the purpose.

21 So, I think that that, again, is a key
22 distinction, and we are going to be harping on this
23 perhaps throughout our discussion, that this label is
24 not meant to be designed to push people into certain
25 products. Give them the information. I am a consumer.

1 I have this amount of money to spend. I want these
2 features. Okay, this is going to cost me X amount of
3 dollars. I think this makes sense for me. In the
4 meantime, perhaps I do want an energy-efficient product,
5 and the Energy Guide label provides for the Energy Star
6 logo, plus I look on the scale and I say, "Uh-huh, I
7 want to use the one that is farthest to the left in this
8 case."

9 Getting, though, to the issue of how do you
10 provide, though, energy-efficiency information to
11 consumers, there are many programs out there, and I
12 liked Rebecca's comments and how we need to divide our
13 discussion here. You have the Energy Star Program, a
14 tremendously successful program, huge market share or
15 market penetration of Energy Star products. If I want
16 to get an energy-efficient product, I am going to look
17 for that label either on the product or perhaps on the
18 Energy Guide label itself.

19 There are various other programs out there,
20 voluntary programs -- Rebecca has one of them -- that
21 provide consumers with information. There is certainly
22 no dearth of information for consumers, and a consumer
23 knows and there is a high comprehension of the Energy
24 Star logo, that if I want a highly efficient product, I
25 am going to buy an Energy Star product.

1 MR. NEWSOME: Okay, thank you.

2 Ann?

3 MS. BAILEY: Okay, thanks. David just stole my
4 thunder a little bit, but I was going to say -- I will
5 not express an opinion in terms of what I think the
6 purpose of the label is, but to the extent that one of
7 the objectives is to help people save energy, clearly
8 the Energy Star has been in the market for a long time,
9 and I think it is important to look at and consider how
10 the two labels function together. Not only does it
11 represent high market share over time, but there has
12 been significant investment, government investment,
13 industry investment, in establishing it as the key
14 indicator of what is efficient and what consumers should
15 purchase.

16 MR. NEWSOME: Why don't we go to J.B. in the
17 audience.

18 MR. HOYT: Thank you, J.B. Hoyt -- is this live?

19 UNIDENTIFIED SPEAKER: Flip the switch?

20 MR. HOYT: Magic.

21 J.B. Hoyt, Whirlpool Corporation, thank you.

22 The question around what is the purpose of the
23 label is I think fairly clear, and Laura read the
24 language, but by itself, this label is not going to
25 drive energy efficiency. It can assist the consumer in

1 making energy-effective decisions in that process, and
2 driving energy efficiency, there's a whole body of law
3 that the Environmental Protection Agency and the
4 Department of Energy drive with both rulemakings and, as
5 Ann has articulated, the Energy Star Program.

6 This label -- and we talk to thousands of
7 consumers every day, we do extensive market research
8 every year -- this label helps consumers be aware of
9 something that is important in the purchase-making
10 decision but not at the top of the list. As much as any
11 of us in this room would like to believe that energy
12 efficiency is the most important thing to consumers, it
13 is not. Consistently it shows up somewhere between
14 fourth and sixth in the hierarchy of extensive research.
15 That can vary over time, but in the last couple of
16 years, that is where it has been, and that is as high as
17 it has been in a long period of time. So, how do you
18 assist consumers in doing that? That really should be
19 the focus of this label.

20 Consumers tell us that the label is something
21 they are aware of, but it is cluttered. Back to your
22 original question was, tell us about this label. It is
23 cluttered. It is hard to determine what is really
24 there, and therefore, people tend to gloss over it or go
25 on to other sources of information, as some have cited.

1 And so I think one of our objectives here is to make the
2 message of the label crisp and to reduce some of the
3 clutter.

4 MR. NEWSOME: Okay, thank you.

5 What I think we will do is we will go through
6 each of the alternative label designs that we have on
7 the table and take comments about those, discuss those,
8 and after that, why don't we have a specific time to
9 address testing, consumer research specifically, because
10 there have been several comments about that, and there
11 has been consumer research that has been done, and I
12 think we need to discuss that. So, we will go through
13 Christine and David's comments, and we will transition
14 into the -- as J.B. was talking about -- revised current
15 label or a revised version of the current label that has
16 a little less clutter, and if anyone has any particular
17 comments on this, we can address them now, but first we
18 will go to Christine.

19 MS. EGAN: I guess I want to return back to the
20 question of the legislative mandate and in particular
21 respond to your question, Hampton, is there a difference
22 in providing information and encouraging energy
23 efficiency? And I would say from a policy perspective,
24 there is a clear difference.

25 The mandate, the burden on FTC, is in my opinion

1 higher if you have to encourage energy efficiency or
2 interact in the purchase decision. Information
3 provision is a passive process. You provide the
4 information, and whether or not someone understands it
5 or utilizes it, frankly, is not relevant. You have met
6 your mandate of providing information. If, instead, you
7 are supposed to assist consumers in making purchase
8 decisions and improve energy efficiency, then there is a
9 higher level of burden to make sure, in fact, consumers
10 are understanding the energy efficiency information it
11 contains and that it is, in fact, playing in the
12 marketplace, it is actually a relevant factor in the
13 marketplace.

14 I will transition to, you just had a
15 manufacturer say that his market research shows, in
16 fact, that the consumers are disregarding it or that it
17 is not a major factor. So, I think it is clearly -- the
18 current label, you asked us to comment on the current --
19 is clearly not meeting the second half of that burden on
20 FTC.

21 The other thing that I want to try to do is, I
22 do not know how many of you know the organization that I
23 am with, but we do nothing but promote minimum energy
24 performance standards and energy labeling globally. We
25 are a technical assistance organization, and our goal is

1 to provide objective, neutral technical assistance on
2 those issues.

3 To put this in global perspective, almost
4 everyone in the world who is adopting labels for about
5 the last 10 to 15 years is moving to a categorical
6 label. Virtually no one -- in fact, I am not aware of a
7 single country who has initiated labeling newly that has
8 undertaken a continuous scale, and the reason is -- and
9 we submitted a paper actually as backup to our comments
10 on this that I wrote -- that everywhere in the world
11 that I know of that a categorical label and a continuous
12 label has been tested, which is a number of countries at
13 this point, categorical labels improve energy efficiency
14 and have higher levels of consumer comprehension of that
15 issue. So, I just want to give that global perspective,
16 that we are one of the few left with the continuous
17 label scale.

18 I also just want to emphasize, since you asked
19 us to target our comments at this point to the current
20 label, in a former life, I was with ACEEE and
21 participated in the initial research, and I want to
22 emphasize the comments from the gentleman from Whirlpool
23 who emphasized the extent to which it came back that the
24 label was cluttered, that there was too much
25 information, that it was hard to derive the main

1 message, and to add to that, in particular, a major
2 failure of the bar scale, which was that a significant
3 portion of consumers did not even recognize that
4 continuous scale as a bar. They did not understand that
5 it represented a range of information.

6 Just in terms of the current label, those are
7 several of my comments.

8 MR. NEWSOME: Okay, thank you.

9 David?

10 MR. KLINE: Thank you very much.

11 We at JVC are very supportive of labeling, in
12 seeing the effects in other product categories. As a
13 television manufacturer, this is our first exposure, and
14 hello to most of you, I have never seen most of you all
15 before. I am sure we will be seeing more of each other.
16 But we are seeing the value of market forces of
17 providing information and in encouraging the energy
18 efficiency through the natural forces.

19 The consumer electronics industry is very
20 different from the cooling, the heating industry, in
21 that efficiency is a good thing for us. Smaller circuit
22 boards with less heat dissipated; smaller heat syncs
23 reduce the cost; and the natural force of the consumer
24 electronics industry, being driven primarily by Moore's
25 Law, computers, things get cheaper electronically.

1 It is very different when we, as the consumer
2 electronics industry, for example, 15 years ago, when I
3 started with JVC, our 36-inch television was \$2,000, and
4 it consumed 235 watts on its UL rating label -- we will
5 not talk about testing procedures -- but its UL label,
6 okay, as a frame of reference. Last year, the last year
7 that we manufactured a 36-inch glass product, it was 165
8 watts, down 70 watts, that is almost 30 percent down,
9 and it was \$499, 75 percent down in cost. So, from 2000
10 to 500 and from 235 down to 165 in 15 years with no
11 federal mandates, because that is the second point of
12 what we are very concerned about, is a voluntary program
13 providing consumers information is absolutely positive.
14 We are very proud of the engineering efforts that we at
15 JVC make to make ourselves an efficient product.

16 However, when those voluntary or educational
17 information are turned into mandates, you must meet a
18 certain level in order to be sold in the state of X --
19 and you all can fill in the blank on that one X -- where
20 it is existing now, that mandate and the reduction of
21 consumer choice, the fewer number of products, is in our
22 view not the way to encourage energy efficiency. So, I
23 would just like to say, as a welcome, we are different,
24 and we are already there. JVC has been one of the
25 original Energy Star folks. We have 44 SKUs that we

1 produce this year. One is not an Energy Star product,
2 okay? We have bought in.

3 There are other manufacturers here, Panasonic,
4 for example, who has been Energy Star Partner of the
5 Year. We try to keep up with them, but they have been
6 one several years in a row. So, we are making a very
7 good effort, and as a basic concept, efficiency is part
8 of the market forces in electronics, and that is very
9 different from where a higher efficiency compressor, a
10 different configuration of a product, may make it more
11 efficient, the innate market forces drive down both cost
12 and energy consumption, because the two are both
13 related.

14 So, thank you very much, and I will be back to
15 you. Thank you.

16 MR. NEWSOME: Thank you.

17 We have this revised label up on the screen
18 here, and I am curious if there are any obvious
19 suggestions or if anyone sees anything in terms of
20 addressing this. One issue that was raised I think in
21 at least one of the comments was that -- and this would
22 apply to all labels -- that the boxes there should have
23 a white background, and I am curious as to whether
24 people think that is a good idea and whether that also
25 creates any problems in terms of the cost of creating

1 the label or the difficulty of creating the label, but
2 while you are thinking about that, why don't we go to
3 Bernard.

4 MR. DEITRICK: I just wanted to respond to what
5 you were saying about regulations of energy. That is
6 not actually what this program is doing. It is not
7 regulating the amount of energy that you are allowed to
8 use. It is just giving the consumer information about
9 how much energy is used, and while you have mentioned
10 TVs, and I know we are going to have a session on that,
11 there are huge differences in the energy consumption of
12 TVs within very similar models, much more than for
13 appliances that are regulated, simply because they are
14 not regulated, but having the information in front of
15 the consumer, being able to go on the showroom floor and
16 say, "This one uses 500 watts and this one uses 200
17 watts. They look the same to me. My kid watches eight
18 hours a day. I am going to save a lot of energy by
19 choosing this one." I think that is information that is
20 very valuable to the consumer, and I think that is
21 something that is currently not available. It is not
22 saying you cannot sell it, you cannot make it, you have
23 to meet -- it is just saying, "Tell us how much it
24 uses."

25 The other problem with TVs is the Energy Star

1 program only talks about what happens when it is off.
2 It does not say anything about what happens when it is
3 on, and that is one of the drawbacks of the Energy Star
4 labeling of consumer goods, at least in the electronics,
5 is that it does not apply to the use.

6 MR. NEWSOME: Okay, thank you, and let us try to
7 save more TV discussion for this afternoon. It is an
8 important issue, but we have got a session for that.

9 Steve?

10 MR. ROSENSTOCK: Thank you, Steve Rosenstock,
11 EDI.

12 Just in terms of this label right here, I think
13 to me it looks like a minor modification to what is
14 going on now, the tick marks, and I think the only thing
15 I would suggest with this label to improve it is the
16 font size of the least versus most energy. Compared to
17 the current label, at least the way I looked at it, the
18 font size for all three numbers in the main box were
19 basically the same size. In this box, in the middle
20 box, the 600 is the biggest, and the 539 and the 698 are
21 about two-point font.

22 So, I would suggest, again, just for consumer
23 information, at least -- again, personal opinion of
24 myself -- if the font size could be increased for the
25 lowest versus highest, again, just in terms of visual

1 ease for the consumer to make that energy comparison
2 within that category. Then you said in terms of the
3 background that you just wanted a white background in
4 the three boxes and the rest with the yellow, is that --

5 MR. NEWSOME: That is one of the suggestions,
6 and, in fact, some manufacturers over the years have
7 done that, because I think some earlier samples had
8 that, so...

9 MR. ROSENSTOCK: I would just say if there is
10 consumer research that says it makes it easier for the
11 consumers to see that information, that is fine. If
12 not, then whatever is easiest, you know, lower cost, but
13 if there is a specific preference that consumer research
14 finds out and it is same or lower cost for
15 manufacturers, that is fine in my mind.

16 MR. NEWSOME: Okay, thank you.

17 Christine?

18 MS. EGAN: I guess I want to make an overarching
19 point that I will hopefully not repeat too many times,
20 but it applies to any and all of the proposed changes,
21 which is to say the position should be that the FTC will
22 make no changes without actually testing any of the
23 models in actual consumer research, and I want to just
24 say that to the extent that those of us around the table
25 are giving you comments, we are giving you comments from

1 three different perspectives, two or three different
2 perspectives, depending on who we are.

3 In my case, I will give you comments as someone
4 who has done a lot of consumer research, who has managed
5 a lot of consumer research on label design, and so I
6 have some insight as to what consumers have found, but I
7 am also going to answer you as an individual who looks
8 at these things and has opinions, and then also there is
9 the fact that I am interested in energy policy and have
10 been. Those are all very different and interesting
11 perspectives, but none of them are as valuable as
12 actually doing research and finding out from the public
13 who will actually try to utilize this tool. So, that is
14 my overarching plea to the FTC, is to not make any
15 changes without actually testing what you are putting
16 out in the market.

17 The next point is that the consumer research, in
18 general, shows that consumers prefer outlined and
19 blocked off spaces where information that is relevant
20 can be grouped and set off in a distinguished fashion,
21 and so the boxes would fall consistent with that. To
22 the extent that you are adding white, that might well be
23 consistent with that also. I would suggest, again, it
24 should be tested.

25 To the extent that you are making changes to

1 things like font size, if one of your pieces of
2 information is that the label is too cluttered, that
3 that is a major finding we have all had, that is a huge
4 issue. Font size actually has a big impact on the
5 extent to which things appear cluttered versus the
6 extent to which it is providing the necessary
7 information that consumers need to understand that that
8 is a range, and there is a trade-off. Those two things
9 pull in very distinct directions, and the right balance
10 is, again, something that really should be tested with
11 consumer research.

12 MR. NEWSOME: Okay, thank you.

13 Just to repeat, Jim had mentioned earlier, we
14 are planning on doing research on various alternatives,
15 and these are kind of the front runners or what we have
16 on the table now, so I appreciate those comments.
17 Thanks.

18 Okay, Ann.

19 MS. BAILEY: Okay, I just wanted to quickly
20 address TVs, just that we recognize the growing
21 importance of active power, and we are supporting the
22 development of a test procedure so we can address it
23 with Energy Star.

24 Then I just wanted to ask, I am assuming with
25 this design you would intend to continue to include the

1 Energy Star label, and if so, I would just encourage you
2 to find a standardized location that is not confusing in
3 terms of being associated with greater energy use and
4 that it would have large enough size so it is
5 distinguishable for consumers.

6 MR. NEWSOME: It seems that in going through the
7 comments, the people that did address that, the
8 consensus is that the Energy Star logo should go in the
9 bottom right, and we can talk about that a little later
10 this morning.

11 Why don't we take one more. Dave, do you have a
12 quick comment?

13 MR. CALABRESE: I was going to comment on this
14 topic, and then that is fine.

15 MR. NEWSOME: All right.

16 MR. CALABRESE: So, in regards to this label,
17 what I wanted to comment is, again, the research that
18 AHAM conducted with the consumer research firm that we
19 used, they found, in looking at a very similar variation
20 to this -- and in our comments, we provide that label
21 number 2 -- again, it uses these tick marks, as Steve
22 mentioned, there is more white space in the bar area
23 itself, and quantitatively, a statistically significant
24 portion of consumers found this to be easy to understand
25 and much preferable to the categorical approach and

1 slightly better than the current continuous bar graph.

2 Then the qualitative comments we got were that
3 these additions of white space and the gradations there,
4 the ability to see where things were on the larger
5 scale, was very useful to consumers.

6 MR. NEWSOME: Okay, thank you.

7 Okay, what I would like to do is, so we do not
8 get bogged down -- and we will get to you guys -- but I
9 just wanted to change the -- next we will try to talk
10 about the percentage label and get that done before the
11 break, and when we come back, we can talk about some of
12 the details involved in the categorical label, but I
13 think we have plenty of time to cover these comments. I
14 do not want to cut you guys off. So, let us go to
15 David.

16 MR. KLINE: Just one brief technical issue. The
17 font for Energy Guide, your graphics people may be
18 correct in saying it may not be available anymore;
19 however, with the treatment with the arrow pointing
20 down, it is more of a graphic rather than an actual font
21 and that you could certainly at least servicemark if not
22 trademark that graphic treatment with the downward
23 descending arrow and use that. Brand recognition is
24 very important, and to me, I miss that downward arrow.

25 It is also a good positive thing, reducing

1 energy consumption, subliminally, and so you may want to
2 have your graphics folks look at treating that as a logo
3 rather than as a font with text based on the font.

4 MR. NEWSOME: Thank you, that is a good comment,
5 and that would apply to any of these.

6 MR. KLINE: All of them, yes.

7 MR. NEWSOME: Okay.

8 Rebecca?

9 MS. FOSTER: I just have a similar overarching
10 comment, not specifically on any of these alternative
11 labels, but just kind of a personal recommendation, not
12 one that I have vetted with the ACEEE compliance
13 committee, but I hope that the FTC has time within the
14 schedule, prior to going out to consumers with different
15 alternative labels, to engage the services of some kind
16 of information designer. I am certainly not a graphic
17 designer with a specialty in information design. I am
18 guessing that most of the people in this room are not,
19 but firms with that expertise could provide some
20 valuable input on things like font and white space that
21 we are throwing around from an anecdotal or maybe a
22 little bit of a research base, and I think it could be a
23 very helpful step in the process that FTC takes to get
24 to an end point that is really a successful label for
25 use in the market.

1 MR. NEWSOME: Okay, thank you.

2 Jennifer?

3 MS. AMANN: I would just like to reiterate,
4 again, the importance of testing all of the labels and
5 certainly this new design that the FTC has come up with,
6 the combined design, with consumers. You know, I think
7 we can all have opinions on whether this
8 percentage-based combined graph is useful or our own
9 thoughts on that, but we have all been looking at
10 appliance labels for a long time for a lot of different
11 reasons, and so I would be reluctant to make too many
12 assumptions about how well this label would test with
13 consumers.

14 Also, just reiterating some of the points that
15 have come up on what I will call the improved current
16 design, the improved continuous label. Certainly we
17 have significant quantitative research that also shows
18 that that is an improvement over the current label;
19 however, our research, also statistically significant
20 quantitative research, showed that for consumers looking
21 to make decisions about appliances and efficiency in
22 those appliances, a categorical label is much
23 preferable.

24 I would actually say that it is interesting, in
25 our research -- and the AHAM research actually shows in

1 the same way -- that if you are looking at energy
2 efficiency as one of the goals or intents, the
3 categorical label does test better, statistically
4 better, than the continuous graph.

5 MR. NEWSOME: Okay, thank you.

6 Christopher, I believe you are next.

7 MR. PAYNE: I agree with what has been said
8 before about the fact that I do not know that this has
9 really been tested to any degree. I would note two
10 issues.

11 One is that it is interesting that this
12 percentage scale came up. I believe it is South Korea
13 who just implemented a categorical percentage
14 interpretation of this essentially, so they are using a
15 categorical scheme that bases its ranking on a
16 percentage above a minimum standard. So, there is
17 potentially the opportunity to evaluate this in action
18 overseas obviously.

19 The second point I would make is that this scale
20 does address one issue that the current label and the
21 "modified continuous" or "improved continuous" does not,
22 and that is the reversal of scale on certain products.
23 You made the point earlier that in the case of room air
24 conditioners, with their EER ranking, the scale is
25 reversed, and, in fact, to the right is a better rating

1 than to the left.

2 That distinction is important, because the
3 research that was done actually on showroom floors
4 showed that people would compare labels across products,
5 and I think that is one thing that we do not often tend
6 to think about as we are thinking about these labels.
7 We tend to think of them in isolation, but they are, in
8 fact, usually located on a showroom floor that offers
9 several products in a particular category and several
10 different types of categories, and to the degree that
11 analysis across product categories creates a confusion
12 in interpretation of the label, for example, if I am
13 looking on that aisle and there is a room air
14 conditioner and to the right is better and I am looking
15 at this aisle and at refrigerators and to the left is
16 better, that is a problem.

17 So, I would note that this design does address
18 that issue, as does a categorical labeling system, and
19 that is one of the main reasons I think that the
20 categorical scheme tends to test better. It is because
21 it avoids this flipping of axes.

22 MR. NEWSOME: Okay, thank you.

23 Christine?

24 MS. EGAN: Yes, I want to re-emphasize what
25 Jennifer said, the extent to which this is a new

1 concept, and really this one in particular needs serious
2 thought and testing.

3 The only places I have seen -- I think you are
4 right, Chris, and I am not as familiar with the label in
5 South Korea, but the other place that has used the
6 concept of percentages is Mexico, and I can send in some
7 information on a study we did testing essentially a
8 version of the U.S. label, what they had hoped was an
9 improvement based on percentage. It was not percent in
10 relation to the minimum standard; it was percent of the
11 total range, zero to 100, and a star-based label. In
12 that research, the star-based label tested much better.
13 It was a very small research of just six focus groups,
14 so purely qualitative.

15 That said, putting on the hat of someone who has
16 sat in focus groups and a lot of interviews and surveys
17 and talked to people about how they conceive and how
18 they construct energy, consumption of energy efficiency
19 within the context of labeling, I have two sort of
20 hypotheses that I would put forward in the FTC testing
21 of label research, and one is the extent to which people
22 at large relate to and understand percentage. It is a
23 mathematical concept that is somewhere above the first
24 grade, and it is just something that you want to make
25 sure people can relate to.

1 The other thing, and really my main concern, is
2 that in general, people are used to percentage being on
3 a zero to 100 percent scale, and we have a very clear,
4 because of our academic history, understanding that 75
5 percent is average, 85 percent is good and, you know, 95
6 percent is excellent, and I think one hypothesis is to
7 what extent do people understand that the range that
8 they are shooting for will, at best, be 35-40-50-60,
9 depends on the product, percent better than zero, and
10 that is the main thing that makes me a little nervous
11 about this approach from an interpretation and
12 understanding perspective.

13 MR. NEWSOME: Okay, thank you.

14 Joe?

15 MR. MATTINGLY: Some of this relates to our
16 overarching comment that labeling of our products that
17 we covered is not useful at all to the consumer, but
18 this label here, in the case of water heaters, for
19 example, the minimum standard is so high now for water
20 heaters, there is not really room left for this label to
21 make any sense. In fact, that is why EPA has not had an
22 Energy Star Program for residential water heaters. It
23 is like, again, complying to the standard puts you at
24 the top. So, here you would end up having nothing left
25 or such a small percentage it would not make any sense.

1 For furnaces and boilers, you do not have a
2 continuous range of efficiencies for furnaces and
3 boilers, and I could go on and give you a couple day
4 seminar on why, but certainly for gas and oil products,
5 it is not a continuous range of efficiencies. For
6 safety reasons, there is a big gap. And so this would
7 not really be apropos to furnaces and boilers, would not
8 work very well, and I think that the Energy Star
9 Program, you know, adequately categorizes the condensing
10 product from the so-called mid-efficiency product.

11 The other comment I would make is that for
12 safety reasons, this kind of label might encourage
13 people to do things in the marketplace that are not in
14 the consumers' interests, and the consumer does not know
15 that right now, but I know that.

16 MR. NEWSOME: David?

17 MR. CALABRESE: I want to comment on this label
18 similar to Joe's comment. Did you have a --

19 We have some issues with this and some concerns,
20 and I want to give you an example, actually, that may
21 illustrate where with this type of label, there may be
22 some difficulties.

23 I was just looking the other day at the room air
24 conditioner category, and, of course, there are
25 different subclasses of room air conditioners basically

1 based upon the btu or the power used. There are two
2 ones that I picked, a 6000-btu room air conditioner and
3 an 18,000. The 6000 is something you would use for a
4 bedroom or a small room; 18,000 is one that you would
5 use for a large room or maybe a floor of a townhouse.

6 Under this approach, since you would have a
7 different label for the different subclasses, which is
8 appropriate, a consumer looking let's say the 6000 btu,
9 the label could say it is 10 percent more efficient from
10 the standard. Okay, that sounds okay. They now look at
11 the 18,000 btu, not really understanding maybe the
12 differences between the two, and they say, "Uh-huh, that
13 one is 20 percent more efficient, the 18,000, 20 percent
14 more efficient than the standard." If I am a consumer,
15 I say, "Yikes, I have to buy this 20 percenter, this is
16 much more efficient," but in effect, you are buying a
17 product that uses more energy, because of the very
18 nature of it, than the 6000 btu.

19 So, I think it could cause some confusion for
20 consumers looking across different categories, and
21 again, the comment that we have made for the consumer's
22 utility, why are they buying a 6000 versus an 18,000-btu
23 room air conditioner?

24 Also, I do not know how useful the concept of
25 something being X percent more than the federal standard

1 is. To a consumer who has probably very little
2 knowledge or interest in what the federal standards are,
3 it is probably a number that does not make a whole lot
4 of sense. I think they like saying this is X number of
5 kilowatt hours per year versus the range. So, we do
6 appreciate the effort and the thought going into this
7 that the FTC has provided. I think, though, there are
8 some practical issues that might arise with its use.

9 MR. NEWSOME: Well, just two quick questions
10 about that. Your first point about efficiency ratings,
11 the problem that you have identified, doesn't that come
12 up any time you have an efficiency rating on a label
13 because the efficiency rating is measuring the energy
14 use and weighting it against the output of the product?
15 So, you are always going to have a situation where a
16 very large product that may have a high operating cost
17 may have a high efficiency rating.

18 MR. CALABRESE: Well, I think you certainly --
19 another example of the refrigerators, and I know we will
20 be discussing this category later, and so I was not
21 going to use that as an example, but the same type of
22 problem could arise. Again, you have individuals
23 looking at one subclass versus another, and this could
24 provide, because it is so graphical and it is providing
25 these percentages, I think it puts in the front of the

1 consumer's mind, this is a 20 percenter, this is a 10
2 percenter, perhaps a little different than the EER
3 rating itself.

4 I mean, you raise some good points, Hampton,
5 that, again, gets perhaps to the complexity of this
6 issue, but the percentage to me and for us seems to add
7 a level of confusion, perhaps, that we are trying to
8 wipe out.

9 MR. NEWSOME: Okay. And the other question
10 would be, and you do not have to answer it, but the
11 broader question is, does the operating cost information
12 on the bottom, does that kind of counteract the --

13 MR. CALABRESE: Well, I mean, that helps, and I
14 was going to say, that is helpful. Again, we are
15 talking about making this simpler, making it more white
16 space, taking away text. So, yes, you are right, if you
17 look at the bottom part of the label, perhaps you can
18 get that information. I do not know, and I would defer
19 to others, how people graphically look at a document or
20 look at a piece of paper and say, okay, they see the 14,
21 they do not necessarily see the others or understand how
22 they relate to it, but it would be perhaps more, again,
23 adding confusions.

24 I think we would feel keeping it all consistent
25 for the consumer, who, again, has a limited knowledge of

1 this kind of stuff anyway, would be preferable.

2 MR. NEWSOME: Okay.

3 I would like to try to fit the comments we have
4 in before the break, which is in five minutes, right?

5 Joe, if you could quickly just explain your last
6 comment, I think you were referring to some maybe
7 strategic behavior issues with this kind of label, just
8 very briefly.

9 MR. MATTINGLY: About furnaces and boilers or --

10 MR. NEWSOME: Well, you said with this type of
11 label, that there may be some incentive for --

12 MR. MATTINGLY: Yes, basically you have -- let's
13 take gas furnaces as an example. You have a certain
14 percentage -- you will find a lot of furnaces with 80
15 percent AFUE, and then you will find some furnaces at 90
16 percent and above, and that is the condensing furnace,
17 very high efficiency, versus the efficient model, what
18 we call mid-efficiency. Any labeling scheme that would
19 encourage a manufacturer to inch up past 80 percent, up
20 to 81, 82, 83, creates safety issues that, again, some
21 marketer may try to ignore that just to get a couple
22 more percentage points in order to sell more product,
23 but it is not a good practice, not one that we would
24 want to encourage.

25 MR. NEWSOME: Okay, why don't we go to the

1 audience, since we just have a few minutes, and we can
2 pick up with this if we have additional comments when we
3 come back, but J.B., you had a comment.

4 MR. HOYT: J.B. Hoyt, Whirlpool Corporation.
5 Thank you, Hampton.

6 I just want to make a generic comment about
7 market research, and there have been several comments
8 from around the room on market research, and I think it
9 is very important to, as we say, ask the dogs if they
10 like the dog food, and whether it is this label or any
11 other proposal, we need to go out and talk to consumers.

12 As we talk to consumers, let us keep in mind
13 qualitative versus quantitative market research. We
14 have just held our first focus group on this label. As
15 people around the room have commented on it, focus
16 groups, small intercepts, are a great way to draw
17 information out that you can then use in quantitative
18 market research, and quantitative market research is an
19 easily abused subject.

20 I would caution the Commission to be sure to
21 use, A, a nationally known researcher who is competent
22 in the subject, but most importantly, to use a
23 nationally representative sample so it is balanced for
24 all the demographics, age, income, geographic location,
25 all those things. Any other form of market research is

1 inaccurate, invalid, and can easily be conformed to meet
2 a desired outcome on the part of the researcher. So, I
3 offer that generic comment as a caution and request.

4 MR. NEWSOME: Thank you.

5 Let us wrap it up before the break with Steve,
6 and when we come back, Jennifer and Bernard, if you have
7 comments you want to add, we can do that.

8 Steve?

9 MR. ROSENSTOCK: Well, I just want to follow up
10 on something that Joe said especially because of changes
11 in the marketplace or changing minimum efficiency
12 standards. With this percentage approach, for example,
13 and new standards for water heaters, the high-efficiency
14 model, there might be a 5 percent difference between, I
15 will say, the standard new efficiency as of 2004 versus
16 the highest efficiency out there basically. So, the
17 percentage will not go from zero to 40 with certain
18 products. It might only go zero to 5 or zero to 3,
19 again, depending on the product.

20 Other products obviously have more of a range,
21 but think about that for the consumer. "Gosh, the
22 high-efficiency model is only, you know, 2 or 3 percent
23 more efficient. What is the point?" Well, that might
24 actually hurt the sales of the higher efficiency
25 product, because a consumer might say, "Two percent,

1 what is the big deal?"

2 But what it also forgets is the fact that that
3 minimum standard is, let us say, 5 or 10 percent over
4 the old standard. So, in actuality, that consumer might
5 be saving 12 percent on their energy bill, but the label
6 only shows a 2 percent gain. So, that is one thing to
7 consider.

8 I will use an example, central air conditioners.
9 The new standard is 13; the old standard was 10. A
10 person having an air conditioner that is 16 years old
11 might have been about an 8 SEER that went to 10 SEER or
12 13 SEER. Okay, use a percentage. A 14 SEER air
13 conditioner is only 7.7 percent more efficient than a 13
14 SEER. "Gee, that is not so great. What is the big
15 deal? What is the difference?" Well, that 14 SEER was
16 40 percent more efficient or more than your current
17 model.

18 So, again, I know this label really cannot
19 convey like historically the actual gains you are
20 actually getting from getting the new product, but I
21 just wanted to say that there is some of those issues
22 where a consumer might say, especially if the number is
23 less than 10 percent, "Gosh, I will paying this much
24 more money and I am only getting 5 percent more? What
25 is the big deal? What is the point?" So, just

1 something to consider.

2 MR. NEWSOME: Okay, well, thank you, and I think
3 some of these issues, some of these problems, will apply
4 to any of the label designs, and we can discuss this
5 more.

6 Why don't we take the break, and when we come
7 back, Jennifer, I want to hear your comments on this,
8 and then we will segue into categorical labels and how
9 you develop them and all the issues there. So, thanks a
10 lot. See you in 15 minutes.

11 **(A brief recess was taken.)**

12 MR. NEWSOME: All right, everybody, let us get
13 started again.

14 Okay, Jennifer, why don't we start with you.
15 Your card was up.

16 MS. AMANN: Yes, I just wanted to make one
17 additional comment about some technical problems that I
18 see with the percent-based label, and I will use the
19 example of refrigerators.

20 If you had a consumer in the market looking at
21 refrigerators of similar capacity, similar size, but
22 different configuration, there could be some real
23 confusion when they saw, for instance, a top-mount
24 refrigerator that was a lower percentage above the
25 federal standard that applies to that product but had a

1 lower kwh than a side-by-side of the same size that has
2 a higher kwh and is maybe 20 percent more efficient than
3 the standard. So, that would be a problem even with the
4 labeling scheme as it currently is with capacity and
5 configuration being on different labels.

6 I think that problem would be exacerbated if you
7 were to combine categories for refrigerators, which I
8 think is a great option to look at. If you did that,
9 you would have a real problem where you might have
10 products being compared on the same label that are, you
11 know, a lower percentage above the federal standard but
12 also a much lower kwh number. So, just another
13 technical problem that I see as a possibility with the
14 percentage-based label.

15 MR. NEWSOME: Okay, and that is a good point,
16 and we will be talking about that after lunch in that
17 session about the refrigerator ranges.

18 I think there may have been some members of the
19 audience that had questions or wanted to make comments.
20 If there is anyone that wants to come up, we can do it
21 right now.

22 (No response.)

23 MR. NEWSOME: I do not see anyone raising their
24 hands.

25 Okay, well, let us talk about the categorical

1 labels, a lot of issues to talk about here in terms of
2 the various aspects. One thing that I would like to
3 hear about is how these programs are implemented in
4 other countries and how complex are the systems for
5 determining the various categorical assignments,
6 obviously not a long description, but just to give an
7 idea of the different approaches that are taken. In my
8 mind, we discussed it earlier, a simple approach is to
9 assign percentages based on the energy conservation
10 standard, but I have looked at things that Australia
11 does and the European Union, and they all have different
12 approaches. So, that is one issue I would like for
13 everyone to address.

14 Then there were some comments about how such a
15 label would interact with Energy Star, and so I would
16 like for us to address that, too.

17 Does anyone want to jump in on this? Maybe we
18 can start with the more technical issue. Okay, why
19 don't we start with Christopher.

20 MR. PAYNE: Thanks.

21 One thing I wanted to address that is addressed
22 by both this percentage label and the categorical label
23 that probably needs to get on the record, one issue I
24 think with the current label and with the sort of
25 modified continuous that might be considered is that

1 because of changes in both the appliance standards
2 passed by DOE and just availability of products in the
3 market, we often see shifts in the scales, in the
4 continuous scale, and, in fact, it has become, at least
5 in my own observation, somewhat more common in recent
6 years for products to fall off the end of the scale on
7 current labels.

8 You will often now see in showrooms products
9 that are labeled that say, "This product uses less
10 energy than the minimum as the scale was created and
11 when the label was made." So, I wanted to note that the
12 percentage label and the categorical labeling system
13 reduce that problem, because they sort of abstract the
14 underlying range a little bit, and in theory, that would
15 then reduce the actual cost of labeling these products,
16 because you would not have to be continually updating
17 the label to reflect those new ranges.

18 With regard to your question about the Energy
19 Star logo and the categorical label, I think to my mind
20 that is something that I have heard a lot of opinion
21 about, but the only research that I have seen was work
22 that ACEEE did in an actual sort of shopping experiment,
23 and in that case, my recollection of their findings is
24 that the stars-based categorical label actually had
25 synergistic effects with the Energy Star logo; that

1 consumers read that label and said, "Okay, one star, two
2 star, three star -- oh, four star is the Energy Star,
3 five-star is the Energy Star." So, it, in fact --
4 although it had limited testing -- seemed to improve
5 comprehension of both the Energy Guide label and the
6 Energy Star Program.

7 By comparison, I would reiterate the point that
8 I made at the beginning of the morning, that the
9 research that I have seen reported by AHAM in which they
10 reported consumer confusion with regard to the Energy
11 Star logo and the Energy Guide label was I think flawed
12 research in that they used a product that would not
13 qualify for Energy Star. They used a highly consumptive
14 product and put an Energy Star logo on it. So, of
15 course, in that case, people are going to misinterpret
16 it.

17 I think doing the same kind of test where a
18 properly consumptive appliance was labeled with the
19 Energy Star logo would be informative, but to answer
20 your question, my interpretation of research that has
21 been done suggests that a categorical labeling system
22 could, in fact, be supportive of Energy Star and not in
23 conflict.

24 MR. NEWSOME: Okay, thank you.

25 Christine?

1 MS. EGAN: My comment actually pertained
2 originally to this percent-based label, so I will just
3 make one comment on that and move into the other, which
4 is in general, when you do research with U.S. consumers
5 in particular, they have an awareness that the U.S.
6 Government does not allow inefficient products on the
7 market. They really do not want to be bothered with
8 that, however; they feel it is the Government's job to
9 regulate appliances on energy consumption. That comes
10 through time and time again in the years that it has
11 been tested.

12 One of their questions -- again, another
13 hypothesis for the FTC -- is you are asking consumers
14 with this label to have some understanding, some
15 awareness, some interaction with the policy of minimum
16 energy performance standards, and I just think you have
17 to explore what is the American construction of what a
18 minimum standard is, in particular because these numbers
19 are going to be relatively low. Twenty percent is going
20 to be a pretty good product, and again, relating back to
21 my earlier comment that in the scheme of percentages
22 that most people have in their head, 20 percent is not
23 that good.

24 So, you really have to understand essentially
25 how much better than standard do American consumers

1 typically think the range of appliances is, and my
2 suspicion or my hypothesis is that may be asking them to
3 have too sophisticated an understanding of the policy
4 framework. It may be asking more than we want them to
5 understand.

6 MS. DEMARTINO: I just want to ask a question
7 just to follow up on a point you are raising and just to
8 note I am not Hampton, so I may be a little bit
9 technically off here, but is it possible -- I understand
10 the point you are making that consumers. Are they going
11 to know what the minimum standard is, and then are they
12 going to understand that 40 percent is the best? Is it
13 possible to use this type of a scheme but translate it
14 to a zero to a hundred scale? And, of course, that
15 involves some math to translate it, but --

16 MS. EGAN: It is possible, and I would suggest
17 it is worth testing. Again, percentages are not very
18 widely used in the world, probably in part because they
19 are a reasonably sophisticated mathematical concept, and
20 it is possible, and I would love to see the research
21 that showed if that was better than this and if it
22 resolved the sort of base question I had, and I really
23 do not know, because you guys are breaking new ground
24 with this label.

25 The other point that I wanted to make was to

1 follow on to a comment made earlier about the importance
2 of the consumer research that you do, the firm you use
3 and the design. The comment that was made was it is
4 important to figure out if the dogs like the dog food,
5 which is great. There is a difference, however, in
6 testing a policy tool and a technical tool like
7 information as opposed to testing dog food. The measure
8 of success with dog food is if the dog eats it. It is a
9 yes/no, black and white, they eat it or they do not eat
10 it. There is shades of gray in interpretation, in
11 understanding, in use, in motivation, that are different
12 than testing a consumer product like toothpaste. It is
13 really important that you use a firm that understands
14 that nuance and difference and builds that into the
15 research.

16 A classic example is you can test two
17 toothpastes side by side and ask people, "Which one
18 tastes better?" And they can give you an answer. If
19 you do the same thing and put two labels in front of
20 people and ask them which one they like better, there is
21 learning happening as they look at one and as they look
22 at two, and you are not getting an objective test of
23 each individually because you are placing them side by
24 side. It takes some experience with research of this
25 kind of tool to actually know and understand that, and

1 so I would encourage both in the research design and in
2 the firm that you select, that experience in testing a
3 technical policy tool be part of what gets built in.

4 On categorical labels, different countries do it
5 different ways in terms of the technical basis for how
6 they set those. I would be glad to provide the FTC with
7 a summary for the countries that they are interested in
8 of how they do this. That would be something that we
9 could put to our technical advisory committee, a summary
10 country by country of how they set the thresholds.

11 The one issue that comes up consistently is what
12 we call "bunching at the top," which is that eventually,
13 as your market moves, everything ends up being an A, and
14 you have to downgrade, and different countries have done
15 that with varying degrees of success and consistency.
16 The Australian model is, frankly, in my case one that I
17 hold up as an excellent model for how to address that
18 issue. But I would be glad to provide technical
19 summaries. It is a pretty detailed technical issue that
20 I think would be hard to address in a framework like
21 this, but I would be glad to offer that.

22 MR. NEWSOME: Okay, that would be helpful.
23 Thanks.

24 Rebecca?

25 MS. FOSTER: Thanks.

1 I would like to get back to the issue of Energy
2 Star's interaction with the Energy Guide label, which is
3 a real key issue for the CEE membership and particularly
4 as it relates to the categorical labeling scheme that
5 has been thrown out, and I think that while the research
6 that has been done to date that Chris mentioned provides
7 some context and the AHAM research provides a different
8 context, each of those studies potentially had
9 shortcomings that I think we could all point out from
10 different sides of the table, and what I see as a real
11 opportunity is the FTC research being organized and
12 structured in such a way that we get a clear, definitive
13 answer on what is the interaction in how consumers would
14 embrace and understand any modification of the label as
15 it relates to Energy Star.

16 I think just to throw out some of the complexity
17 that really lives in this issue, some of the research
18 questions that we would like to see addressed are
19 around, within a categorical labeling system, how would
20 consumer understanding change if the Energy Star was
21 always at category four, or four stars equals Energy
22 Star? How would it change if on dishwashers an Energy
23 Star product got four stars, and in clothes washers, an
24 Energy Star product needed five stars, because Energy
25 Star specifications are different across product

1 categories? What if Energy Star was kind of in between
2 a categorical mark, so some three-star room ACs got
3 Energy Star and some three-star room ACs did not? What
4 about if there were product categories like water
5 heaters that the label covers that do not have an Energy
6 Star, is that confusing?

7 So, I think there is just a lot of complexity,
8 and I really look forward to the opportunity to review a
9 research outline once a firm is selected. I hope that
10 is a possibility, because I think that there is a lot of
11 learning here and a lot of interest in making sure that
12 the research answers all the questions on the table and
13 gives us a real definitive answer so that we can then
14 move forward in the best direction.

15 MR. NEWSOME: Okay, thank you.

16 I guess one question I had was, with the Energy
17 Star for most products, the levels are set based on some
18 relationship to the DOE minimum standard. That is my
19 understanding, and you can correct me if I am wrong, but
20 with category -- I am sorry?

21 MR. KLINE: No, I beg to differ. There is
22 jointly developed -- at least with the consumer
23 electronic products, I have been involved with
24 television for nine years, the VCR, the DVDs, all those
25 standards. There are joint negotiation or we come to a

1 consensus between industry, typically the Consumer
2 Electronics Association, and secondly with EPA to
3 develop -- with Energy Star jointly -- develop a level
4 when is an elitist level for Energy Star and is, of
5 course, a moving target, but it is designed to only
6 capture 20 percent of the market or to enable the
7 recognition of the top 20 percent performers.

8 See, again, you get into the dichotomy of the
9 higher efficiency, lower consumption, there is this
10 number that is very confusing to consumers about higher
11 efficiency is a lower number and a higher number is
12 lower watts or -- excuse me, what do you mean?

13 So, the mark of the Energy Star has been a very
14 positive thing, but it is jointly developed with
15 industry in consultation with EPA.

16 MR. NEWSOME: Okay, and I guess I am talking
17 about most of the products that bear the Energy Guide
18 label, when you look at the DOE or EPA standard set for
19 Energy Star, there is some relationship to a DOE
20 minimum, and Ann, I will let you jump in.

21 MS. BAILEY: Just to clarify, for appliances, it
22 is true that the Energy Star level is expressed in terms
23 of percent above standard, but for central air
24 conditioning and furnaces, it is a straight number,
25 efficiency number; for TVs, there is also a standard,

1 but it is not a percent of standard.

2 MR. NEWSOME: Okay, and whereas the categorical
3 schemes that other countries use, there are different
4 approaches that are used. They are setting an equation
5 where you get -- for instance, the European Union has an
6 index that you calculate for refrigerators, and the
7 various stars or the letters are assigned to the various
8 ratings. Is that correct?

9 MS. EGAN: Um-hum.

10 MR. NEWSOME: Can one of you speak to it so we
11 have got that on the record, just briefly?

12 MS. EGAN: I am going to say that that is my
13 understanding. I would like to be able to go back and
14 verify and actually get you a European technical
15 expert's input on that, because that is a level of
16 detail one below what I normally pay attention to on the
17 European label, but your understanding is also my
18 understanding.

19 MR. NEWSOME: Okay, all right.

20 Well, let us get back to the queue here. Steve?

21 MR. ROSENSTOCK: Thank you, and I guess we have
22 kind of moved on to the star label, is that the
23 categorical --

24 MR. NEWSOME: Oh, I am sorry, okay.

25 MR. ROSENSTOCK: Because I think that was good

1 in terms of the percentage graph, I will say the 14
2 percent, and then going to the star label. I will
3 assume it is the same units, 600, and I think one thing
4 about the star labels, and then also I remember from the
5 ANOPR the A through G rating of the appliances, is,
6 again, for the consumer, what made it a four-star
7 appliance? It is 14 percent more efficient equals four
8 stars for the refrigerator. Well, what about other
9 products where, again, the range is smaller? A
10 four-star might be 3 percent. Again, there is no way to
11 see any of that context on a label the way it is done
12 right now.

13 Also with a refrigerator, again, it is a matter
14 of we are all used to the mutual fund ratings, you know,
15 four-star, five-star, three-star. Well, is that a 20
16 percent category? Does that mean that the four-star
17 is -- you are in the 60 to 80 percentile of the products
18 in terms of energy efficiency out there? I think since
19 you do not know the range of -- and in this case, since
20 you really do not know the range of efficiency savings,
21 four-star might be easier for the consumer to understand
22 that, yeah, it is four out of five stars, so it must
23 be -- but again, just speaking as an engineer and my
24 geek background, there is no context for it. I mean,
25 who decided it was four stars? And it is going to

1 differ product to product.

2 So, again, you were talking about different
3 products might -- and also, what if a two-star
4 refrigerator is 12 percent more efficient, you know,
5 versus a four-star, 14 percent? I am just trying to
6 think about how, with this type of system, what those
7 stars actually mean if there is no way that the
8 consumers know what do those stars really mean in terms
9 of energy efficiency, especially in the absence of a --
10 especially, let us say that that is not an Energy Star
11 product, for example. Again, it probably is, but let us
12 say it is 14 percent more efficient, but Energy Star
13 cut-off is 15 percent. A four-star product is not an
14 Energy Star? What is going on?

15 So, I understand the clarity and just maybe ease
16 of understanding on certain consumers' parts, but again,
17 there is that critical lack of information as to what
18 are you really getting with this product in terms of the
19 star category.

20 Thank you.

21 MR. NEWSOME: Well, that is a good point. I
22 guess related to that, I had a question. Many of the
23 star labels that appear in the research reports -- I
24 think they are in both ACEEE and AHAM, but I may be
25 incorrect on that -- but they superimpose the range on

1 either end of the stars, and if you look at our ranges,
2 and Bernard mentioned this earlier, especially for
3 refrigerators, there are some categories or
4 subcategories of refrigerators where there is only one
5 on the market or there are only three, and they are all
6 within several points of each other, and so I had
7 assumed that putting that range was not necessarily the
8 thing to do, that it may have been a mistake, but maybe
9 I was missing something, and if I was, I am happy to
10 hear it.

11 If anyone has any thoughts on that, whether that
12 is something that is appropriate, we can talk about it,
13 but we will go through the queue and move on with
14 Lawrence.

15 MR. WETHJE: Me?

16 MR. NEWSOME: Larry, I am sorry.

17 MR. WETHJE: First of all, let me just back up,
18 previously, Hampton, on the previous label we were
19 discussing before the break. I did not hear any support
20 for that one around the room. In fact, I heard pretty
21 much everybody saying there were several problems with
22 it. So, as you proceed toward developing some kind of
23 research in the future on the different options, you may
24 want to consider just pulling that one off the table to
25 minimize the complexity.

1 MR. NEWSOME: This is the percentage labeling?

2 MR. WETHJE: Yes.

3 MR. NEWSOME: Okay.

4 MR. WETHJE: Moving onto the categorical label,
5 though, my platitude for the day would be, "If it ain't
6 broke, don't fix it," and I think we can make some minor
7 improvements and enhancements to the current label, but
8 an overhaul of the whole scheme just is not warranted.

9 We have got a very good system in the U.S. for
10 promoting energy efficiency. If you look at the trends
11 of any of the products that the label applies to, the
12 efficiency trend is tremendous, in a downward trend, of
13 using less efficiency. We have got a scheme of
14 mandatory standards with DOE. We have got the labeling
15 program that exists now. We have got the Energy Star
16 Program and some other market incentive programs that
17 are working. So, if it ain't broke, don't fix it. I
18 think we have got a great scheme in the U.S. We may be
19 able to make some minor enhancements, I am not saying
20 that that is not the case, but an overhaul just is not
21 necessary.

22 A categorical label, as we have heard several
23 times, I just think you are going to get yourselves into
24 a huge problem if you proceed down that path. I do not
25 think you want to put yourself in a position of

1 establishing what these different levels of what a star,
2 one-star, two-star, three-star applies to. The Energy
3 Star Program that exists today, there is a lot of
4 factors and analysis that go into determining what that
5 level should be. You are going to have to do a similar
6 thing in each one of these cases, multiple times, for
7 multiple products, multiple levels, and it is going to
8 be extremely difficult. I can guarantee you it will be
9 extremely difficult. There is just no simple way to do
10 it. The difference in stars would have an impact in the
11 market, and you can bet that people are going to be
12 weighing in very, very heavily on trying to establish
13 what those star levels are. So, I just would not advise
14 FTC to take on that.

15 Furthermore, the difference between the star
16 levels, as we have heard already several times, is just
17 insignificant. The products have become so efficient
18 today that the difference between a one-star and a
19 five-star product in some cases -- take, for example,
20 electric water heaters -- can be less than an annual
21 operating cost of \$5 for the whole year. So, you are
22 going to try to indicate to somebody that you buy this
23 water heater that is one star and it is going to cost
24 you \$200 a year, but if you buy this five-star one, it
25 is only going to cost you \$195 a year, and somewhere in

1 between there, you have got \$1 increments, literally.

2 In the case of dishwashers, it is the same
3 thing. We are going to be having a new rulemaking, new
4 standard on dishwashers, and with the new standard, you
5 are probably going to end up where your minimum standard
6 efficiency of the dishwasher may cost you \$35 a year to
7 operate, and the most efficient one may be \$30, and so
8 the difference between the levels is just so
9 insignificant that I just cannot imagine that being
10 really critical to a consumer to convey that message to.

11 Lastly, on the categorical label, just because
12 the rest of the world may be trending in that way does
13 not necessarily mean much to me personally. I have been
14 involved in a lot of international standards work, and
15 most of the world is trending towards IEC standards and
16 ISO standards, but I know from direct experience that
17 those standards' test procedures are not nearly as good
18 as the North American test procedures that Mexico, the
19 U.S. and Canada use.

20 So, just because the rest of the world is going
21 towards those standards and a categorical type label
22 does not mean anything to me. I think we ought to go to
23 what makes sense in this country. We recently had some
24 folks in from Australia who were directly involved in
25 their star labeling, and I was interested in Christine's

1 comment about her thinking that was the best label,
2 because they indicated to us that, indeed, consumers do
3 confuse the stars with quality, and that is something I
4 think we want to avoid.

5 MR. NEWSOME: Okay, thank you.

6 Bernard?

7 MR. DEITRICK: We have a lot of experience with
8 categorizing products and their performance, and that is
9 basically what we do. It is very important when you
10 come up with the categories that you make sure that the
11 visual difference is a meaningful difference, that if
12 you have something that has four stars, it is
13 meaningfully different than three stars. Conversely, if
14 there is not enough difference, then you should have
15 more granularity. You could have three and a half stars
16 if there was a meaningful difference, but that is
17 something that would have to be looked at on a
18 case-by-case basis.

19 I think the important thing, we are sort of
20 getting away from the real essence of it, is you want to
21 make it easy for consumers to compare products on a fair
22 basis, and this does, having a category that says four
23 stars versus three stars, it makes it very easy to say,
24 "That four-star product is better in energy use, in
25 energy efficiency, than the three-star product." It is

1 not saying that it is a better product. In energy
2 efficiency, it is a better product. Having that
3 information so graphical makes it easy for a consumer to
4 compare.

5 Now, the flip side of that is that you have to
6 have a fair comparison. You cannot have categories that
7 a consumer is going to be comparing that are on
8 different bases. So, you have to have a fair comparison
9 as well, and, of course, we will get into that with
10 refrigerators, which I think is probably the most
11 segmented of the markets.

12 You do need to be careful that there are
13 meaningful differences, that you make sure that the
14 information conveyed is accurate, and for a lot of
15 products, that efficiency is not just the energy used,
16 and again, I will go into a little bit more of that when
17 we do refrigerators, because that is probably the most
18 complex product that we are looking at.

19 MR. NEWSOME: Just a quick follow-up, in your
20 mind, what is a meaningful difference? If the range of
21 the top and the bottom in, say, dishwashers, and I do
22 not know what the exact answer is, but let us say it is
23 \$25 a year in terms of operating costs, is that a
24 reasonable difference, or \$10?

25 MR. DEITRICK: I think that on a case-by-case

1 basis that you need to look at it, that it is a
2 significant percentage, that a dishwasher that costs \$35
3 to operate versus \$30 to operate is not a five-star
4 difference, but that is something that you need to look
5 at the population of dishwashers and see how they break
6 out. If we sold a hundred million refrigerators that
7 saved 100 kilowatt hours per year, that is a significant
8 amount of electricity.

9 So, is it better to use less? Yes. Is it
10 better to show quickly to the consumer that this one
11 uses less? Yes, it is. But the granularity of the
12 categories that you use, it is important to make sure
13 that there is meaningful differences.

14 I hate to pick on Energy Star, but that is one
15 of our big problems with Energy Star, is that if it is
16 15.01, it gets an Energy Star; if it is 14.9, it does
17 not get an Energy Star. It makes it hard to fairly
18 compare, especially with the different categories. So,
19 having a continuous -- you want the bins to be small
20 enough that there is true differences, you want to show
21 the differences, and you do not want to make the bins so
22 large that you are unfairly comparing two products.

23 MR. NEWSOME: Okay, thank you.

24 There was someone in the audience that had a
25 comment.

1 MS. NOTINI: Thank you, I am Jill Notini with
2 the Association of Home Appliance Manufacturers.

3 I am hearing from some panelists around the
4 table that there seems to be an urgency because
5 something is not working. We recently completed a
6 consumer research study, separate from the labeled
7 research that we did using Synovate, in November of
8 2005, and I will use the example of dishwashers.

9 From that study, it showed that cost was the
10 number one most important purchase factor for
11 dishwashers. Energy efficiency was ranked fifth on the
12 list of overall purchase factors. Now, some of you say,
13 "Uh-huh, well, that is exactly why we need to fix this."
14 Well, let us look a little deeper into that number.

15 When we looked at purchases, those same
16 purchases that were made within the past four years
17 versus purchases made five or more years ago, the recent
18 purchasers showed that 20 percent of those purchases,
19 the reason why they purchased that product was because
20 they wanted to upgrade to a more energy-efficient
21 appliance before the old appliance died, okay? That is
22 versus 11 percent, okay? So, we see that within the
23 past five years, there has been a dramatic shift in the
24 consumers' minds towards energy efficiency.

25 What is coincident with that is also the

1 incredible amount of resources and investment made in
2 the Energy Star Program over the past five years.
3 Industry and government has made an enormous shift
4 toward promoting Energy Star, and we are seeing it work.
5 It truly is working.

6 Another piece of data that I can share with you,
7 when we look at total shipments of Energy Star clothes
8 washers, refrigerators and dishwashers, in 2004,
9 shipments of Energy Star appliances for those three
10 categories combined increased 33 percent over 2003,
11 okay? So, that is just in one year. That is a dramatic
12 shift. Energy Star is working, and I think we are
13 making an assumption that something truly is broken.
14 So, that is one point I wanted to make.

15 I also want to just -- Jennifer, you made a
16 point earlier about some quantitative research on the
17 categorical label. I have not seen it, so I would be
18 interested if you could share where we could find it or
19 if it was submitted with the comments.

20 MS. AMANN: Our research?

21 MS NOTINI: Yes.

22 MS. AMANN: I will comment.

23 MS. NOTINI: Because I did want to note in the
24 2002 ACEEE research, there were some labels that were
25 tested that came out in the first round of testing as

1 being really very favored by that focus group, and
2 within the second round of testing, those labels were
3 eliminated from moving forward, and it was actually
4 shown that the categorical style label did poorly during
5 the first round of interviews, but it was included in
6 the second round of testing.

7 There were also some comments made in the study,
8 the direct comment from the 2002 report was that based
9 on comments from a few focus group participants and
10 survey respondents, there was some concern that a
11 categorical rating system, particularly the star-based
12 rating, might mislead consumers by implying a rating of
13 product quality in addition to energy efficiency. So,
14 if it is submitted with the research, it would be great
15 to get our hands on.

16 Thank you.

17 MR. NEWSOME: Jennifer, do you want to just very
18 briefly respond where that information is available?

19 MS. AMANN: Yes, I would like to respond.

20 The ACEEE research was not any single research
21 task. It was actually a long-term, iterative research
22 process using multiple methods. So, we started out with
23 a number of designs that we had identified as being
24 either tested or used in different parts of the world,
25 and we did some qualitative research on those. We also

1 talked to manufacturers about some of the label designs
2 we were looking at to see which ones would actually be
3 cost-effective or practical to actually implement, and
4 based on that feedback, we moved forward. At each stage
5 of the research, we used the findings we had to improve
6 or modify the designs that we went forward with.

7 Throughout the research, our research plan, the
8 idea was that we would identify categorical and
9 continuous labels that were the optimum that we found
10 through each iteration of the research to test at the
11 end quantitatively. So, we had qualitative research
12 that then led to two quantitative research tasks, both
13 with statistically significant findings. So, when you
14 take a comment that might have been made about findings
15 from the focus group, certainly that was a qualitative
16 test, and so as any good researchers, we make comments
17 saying that as a qualitative research project, we cannot
18 make any quantitative comments about that, but we then
19 went forward and tested again.

20 So, where we had participants in our focus group
21 saying that they had -- a couple of people said there
22 might have been some concerns about the stars labeling
23 showing differences in quality, we decided that we
24 needed to test that quantitatively, and all of that is
25 in the same research report that you read from 2002. If

1 you had read forward, you would see that we tested the
2 quality issue in two different qualitative formats and
3 found that there were no statistically significant
4 differences. People did not see that. We also had a
5 number of qualitative comments that certainly people
6 understood the label was an energy label, only dealing
7 with energy. We found that there was some implication
8 of a quality inference from a stars-based label, both in
9 a survey in an actual shopping experiment where people
10 did not realize they were even looking at the label, was
11 a part of that test, and I think you will also find that
12 in the research that you did, AHAM did with Synovate,
13 there also were no reported differences in quality
14 perception among any of the labels that were tested
15 there.

16 MR. NEWSOME: Okay, Laura, you had a quick --

17 MS. DEMARTINO: No, I do have a quick point, and
18 I know there are a lot of tents up, a lot of people want
19 to get their comments in, but I know a lot of -- there
20 are a number of research studies that were done, ACEEE,
21 AHAM, others that have been mentioned, and I know that
22 in the comments that were submitted, there has been sort
23 of a summary or overview report. It may actually be
24 useful for the Commission to get the underlying data for
25 these tests, because then it will allow not just us but

1 everyone to take a look in more detail. So, if that is
2 possible, I would encourage each of the groups to submit
3 some additional information about their research.

4 MR. NEWSOME: And that way we can get it on the
5 record and on the web site, so...

6 Let us hear from the Energy Star folks, Rich
7 first and then Ann.

8 MR. KARNEY: Is this on?

9 MS. DEMARTINO: Flip the switch.

10 MR. PAYNE: It is on.

11 MR. KARNEY: Richard Karney from the U.S.
12 Department of --

13 MS. DEMARTINO: It is not on. You have to flip
14 the switch.

15 MR. PAYNE: You have to get real close.

16 MR. KARNEY: Is this better?

17 Hi, I am Richard Karney with the U.S. Department
18 of Energy. I run the Energy Star Program for the
19 Department of Energy, and a lot of the appliances that
20 the label will be going on, the products are managed by
21 us, besides the fact that I am going to be interspersing
22 personal and official comments with what I am going to
23 say.

24 The fact that I agree with AHAM I guess is a
25 personal comment, but I would like to encourage the

1 Commission to try to keep this as simple as possible. I
2 believe that the categorical label to me adds complexity
3 to what I think is a simple problem. I like the
4 continuous label -- do not like the percentage label
5 that you had on there -- and the simplification of what
6 exists now, I believe, plus adding the Energy Star onto
7 it to signify to the consumer that this is an
8 energy-efficient product.

9 I mean, EPA and DOE, we manage our products, we
10 change the criteria as technology improves. We have
11 just changed the clothes washer criteria and the
12 dishwasher criteria to make the Energy Star more
13 significant in the marketplace.

14 I like to keep this as simple as possible. The
15 survey that came out recently that showed that a large
16 percentage of Americans cannot find Louisiana on a
17 United States map, and double that percentage cannot
18 find Iraq on a global map, says to me we need to keep
19 this as simple as possible by showing a yearly
20 consumption, a price that goes with that consumption,
21 and having an Energy Star label to signify that this is
22 an energy-efficient product to me shows the consumers
23 they can compare one product against the other to see
24 where the purchases should go.

25 Energy efficiency is not the -- as much as I

1 feel bad about this -- is not the prime consideration
2 when a consumer purchases an appliance. It is the
3 features of the appliance that they are looking for.
4 Energy efficiency is just one matter.

5 When I go buy a product, I look at the energy
6 label, but I also read Consumer Reports for the quality
7 aspect and the attributes of the product, but like
8 Steve, I am an engineer, and I will not say I am a geek,
9 but I certainly believe in what Steve was saying, that
10 to keep it as simple and keep it as brief as possible to
11 the consumer will go a long way to getting the message
12 across and at the same time providing the
13 energy-efficient message that we are all looking for.

14 MR. NEWSOME: Thank you.

15 Ann?

16 MS. BAILEY: Thanks.

17 I guess just to add to that, I guess I think it
18 just intuitively, if you have an Energy Star label on
19 the Energy Guide label and it does not align with a
20 five-star system, if you went to that categorical
21 approach, then that would be confusing, and I think one
22 of our major issues with the studies, the ACEEE study in
23 particular, is it presumes alignment. I think it
24 assumes that Energy Star would equal four stars, and if
25 you test that, you would find that there are synergies.

1 The problem is I think that alignment has
2 significant resource implications for the Government,
3 and I think it is also practically impossible. I think
4 AHAM has pointed out, if you have five stars, you have
5 five bins that you are basically having to negotiate on
6 a regular basis with industry. We have two bins. Today
7 we are announcing a new specification for copiers and
8 other imaging equipment, and it took us three years to
9 come to some agreement on what those levels should be.
10 So, not only would there be significant new resource
11 implications for the FTC, but we would have to align our
12 processes and the timing would have to be aligned, all
13 of the interactions with industry would have to be
14 aligned. So, that is pretty significant.

15 Then even assuming that that could be
16 accomplished, there are for several products aspects of
17 Energy Star that go beyond efficiency, so that even if
18 the efficiency values were aligned, for instance, for
19 central air conditioning, Energy Star does not only set
20 a SEER level, it sets an EER level. So, even if we
21 aligned as far as SEER goes and we could equal four
22 stars as far as SEER goes, there would be some products
23 that met that SEER levels and equaled four stars that
24 would not qualify as Energy Star, so that the Energy
25 Star label could not appear.

1 There is another issue with washers. We now
2 have a water factor that is required to be met for
3 Energy Star, which would not be consistent with the
4 Energy Guide label. So, I think alignment would be very
5 important but has huge implications and may not be
6 possible.

7 MR. NEWSOME: Thank you.

8 Next we have Christopher, but I just wanted to
9 throw out also, several of the comments suggested that
10 the categorical labels in other countries take into
11 effect some performance characteristics of the products,
12 and as people are commenting here in the queue, if they
13 have information on that to provide, that would be
14 great.

15 So, Christopher?

16 MR. PAYNE: Thanks.

17 Boy, I have got several issues here. One is
18 that we addressed earlier the issue of how significant
19 is this topic to consumers. I think there are two
20 points I would make with that. One, I think there is a
21 distinction between the significance to the individual
22 consumer in looking at the product and significance to
23 the United States in energy policy terms, and I think,
24 in fact, in interviews that I have done with consumers
25 on the showroom floor, consumers recognize that

1 distinction and, in fact, were interested in making a
2 purchase choice that was not necessarily a solely
3 economic decision.

4 Oftentimes, I think in policy, particularly in
5 energy policy, we tend to fall into a mode that says
6 that what we are talking about is strictly an economic
7 rational utilization model, and people do not behave
8 that way. People make purchase choices for a variety of
9 reasons, and the categorical label was one in which I
10 had some consumers report to me -- and this is
11 qualitative data, so it is anecdotal -- that they saw
12 the current system and saw an estimated yearly operating
13 cost of, I will give an example, \$56, and they saw
14 another with an annual operating cost of \$54, and they
15 said, "You know what, two bucks, who cares? It is not
16 going to affect my choice that I will save \$2 a year in
17 purchasing this model or that model, but I am getting
18 this \$54 model anyway, and I am going to buy it because
19 I know that it is useful to use less energy."

20 So, in terms of the impact of a categorical or
21 even a modified continuous improvement rating system, it
22 is more than simply the rational economic actor model
23 that is at work here, and there may, in fact, be good
24 energy policy reasons to establish a system that allows
25 a consumer to go beyond a percentage difference of 2 to

1 3 percent and make that choice for other reasons. I
2 will just leave it at that.

3 The second point I would make is that in
4 interviews with salespeople on the sales floor, one of
5 the things that they really reacted to was the benefit
6 of the categorical label in drawing consumers to then
7 speak with the salesperson to learn more about the
8 product. So, they actually favored the categorical
9 label system because they saw it as an opportunity to
10 inform the consumer in a way that the continuous label
11 did not.

12 Third, I want to react to the issue of taking
13 the categories in isolation. I think it is important to
14 recognize that when we are speaking of these labels, we
15 are speaking of the label as a whole and that people
16 interpret the label as a whole. When people come up and
17 look at the more stars, the more efficient, they do not
18 lock in on the four to five stars and ignore everything
19 else on the label. It is taken in context. It is taken
20 in the context of the fact that there is an energy use
21 term given there, 600 kilowatt hours in this case, there
22 is an operating cost term given there, \$54 in this case.

23 They, amazingly enough, sometimes even read the
24 fine print and say, "Well, you know what, you are saying
25 it is 9 cents per kilowatt hour for electricity, but I

1 pay 12 or I pay 6, so I am adjusting this." People also
2 tend to adjust based on that fact that, for example,
3 with clothes washers, "Well, I have got four kids, and I
4 do way more laundry than average, and I can tell that I
5 am going to save more than what is on this figure."
6 They also react in the context of the sales floor. So,
7 again, they are looking at this in the context of other
8 labels around the room and, you know, how those other
9 labels appear.

10 So, I do not want to get caught up on what does
11 it mean to be a three-star or a four-star? Are people
12 going to be able to tell the difference in isolation? I
13 think it is an important question to ask, but I think we
14 have to recognize that they also have the information
15 about energy use and operating cost, et cetera.

16 Finally, I agree with Rebecca that we probably
17 need much more detailed research to understand the
18 questions of how the Energy Guide label and the Energy
19 Star label interact. I think we do not have enough data
20 to make informed decisions about this. That said, I
21 would say that my opinion, based on interviews I have
22 done with consumers on the floor, is a little different
23 than Ann's in terms of the interaction that people see
24 with the Energy Star logo versus a categorical Energy
25 Guide label.

1 I think people were fairly sophisticated
2 actually in their distinction among the two systems.
3 They saw them as different products. They saw the
4 Energy Star logo as identifying unique characteristics
5 of the specific model, whereas the Energy Guide label
6 labeled the performance of a range of models. They did
7 not necessarily say, "It has to be a four or five-star
8 model to get an Energy Star logo." I am not convinced,
9 but we do not have any data one way or the other, that a
10 consumer would necessarily have a conflict in mind if
11 they saw three stars and an Energy Star or two stars and
12 an Energy Star. We do not know. My experience with
13 them suggests that they are sophisticated enough to make
14 that distinction, but it is a researchable question, and
15 I would encourage that research.

16 MR. NEWSOME: Okay, thank you.

17 We have got about 25 minutes until lunch,
18 several more people in the queue here. What I would
19 like to do, in addition to discussing this some more, I
20 would also like to have some time for us to talk about
21 just consumer research in general. I believe there is
22 some people who want to make some comments about the
23 research that has been done already, and also, I would
24 like to, before we break, revisit Larry's point about
25 the percentage label and see if there are any advocates

1 for looking at that label more. If there are not, then
2 it certainly makes things easier in terms of taking
3 something off the table. So, that is very important for
4 us to know. If there is no one who thinks that that is
5 a label worth looking at anymore, then that is something
6 that we need to know about.

7 So, let us continue with the categorical, but we
8 want to go into those two discussions before we wrap up
9 here. One, the consumer research issue, and also, the
10 percentage label.

11 So, Karim, you are next.

12 MR. AMRANE: Well, I guess I would like to
13 advise the FTC against adopting a categorical label as
14 proposed for several reasons. I think as mentioned
15 before, it is going to be an extremely complex process
16 that the FTC would have to go through to get the
17 consensus among stakeholders of what the stars mean and
18 even within one product category, that is, central air,
19 it is going to be tremendously difficult for FTC to
20 reach a consensus or to determine what a star means.
21 So, again, I mean, for that, we do not think it is a
22 good idea.

23 Now, you might think of a system or a concept
24 like this maybe for a product for which there is only
25 one energy descriptor. For central air, we have,

1 because of heat pump, for example, two descriptors, we
2 have SEER and we have HPF, but air conditioners also
3 have SEER. So, you have to come up with a star system
4 for air conditioners, and then for heat pumps, you will
5 have to come up with a different star system, and then
6 for heat pump, what are you going to do? You are going
7 to have to -- you know, two-star, something might
8 qualify two-star for air conditioner, might qualify as
9 three-star for heat pumps? I mean, that is going to be
10 extremely confusing for consumers.

11 Again, Energy Star is another issue as well,
12 because now Energy Star has a third descriptor, EER,
13 which DOE has not, so now particularly with the third
14 one, and an Energy Star product probably in some cases
15 will not qualify as, for example, four-star just because
16 the EER is not met or something like that.

17 So, I think it is going to be very confusing.
18 It is going to be contentious also. We would like to
19 discourage incremental energy efficiency improvements
20 unless you qualify for the next star. So, if you are
21 just close to it, then you would make to the
22 improvement, but you are close to the next star, what is
23 the incentive here? So, for those reasons, we believe
24 that that is not the right way to go.

25 We feel that the current label is probably okay.

1 Maybe we just need to tweak a little bit the label, but
2 there is no need here for tremendous change in the way
3 the label is designed.

4 MR. NEWSOME: Okay, thank you.

5 All right, Joe, then Christine.

6 MR. MATTINGLY: Again, going back to the
7 products we cover, in the case of water heaters, since
8 the minimum standard is so high, does everybody get five
9 stars or does everybody get one star, but there is room
10 for five stars? Again, in the case of furnaces and
11 boilers where it is discontinuous, the range of
12 efficiencies, again, do you get one star for being this
13 and five stars for being this or do you get one star for
14 this and two stars for this? But the public is used to
15 seeing five stars, at least options for five stars.
16 Just some very practical problems applying it to our
17 products, this kind of a system.

18 And I want to confirm, we have also had comments
19 from our industry about this could stifle innovation if
20 you would otherwise be inclined to make an efficiency
21 improvement, but if it does not get you an additional
22 star, you might just say the heck with it, that it is
23 not worth it.

24 MS. EGAN: It is hard to know where to start. I
25 want to respond actually to the first question on the

1 table to this label of stifling innovation. Everywhere
2 that it has been researched the exact opposite has been
3 shown by market data. If you look at the market
4 transformation that has happened in Europe and you look
5 at a graph of the distribution from A to G, before
6 labeling and after labeling, what you see is a peak at
7 A, at B, at C, at D, which implies that the label is, in
8 fact, driving innovation. In fact, it is motivating the
9 manufacturers to meet the next level of energy
10 efficiency, and it is absolutely clear when you look at
11 the data, the market is absolutely affected by those
12 thresholds. So, I would argue that that is not a valid
13 point in terms of where it has been tested.

14 The other thing that I want to say about the
15 percent label is I want to be clear that from my
16 perspective, I do not have problems, I just have
17 questions. It is a totally untested model, and I
18 definitely think it is worthwhile include in your next
19 research. We can all have hypotheses, but the only way
20 to know -- you might be onto something, you might not,
21 but at least in the preliminary research, I think it
22 would be worth including. That is from a perspective as
23 a researcher.

24 On the Energy Star issue, I want to emphasize
25 that I agree that this needs further research. The

1 research that I am familiar with is the work done by
2 ACEEE. It was preliminary research, it was partial
3 research, I would not suggest that it answers all of the
4 questions. I will say that I personally was surprised
5 at the findings, that, in fact, they are synergistic,
6 that it was mutually reinforcing.

7 In other words, consumers said, "I like both the
8 Energy Star label and the Energy Guide label better. I
9 find them both more believable and usable as a result of
10 seeing the two together." I found that result
11 surprising, because I had the same intuitive model that
12 I think Ann mentioned, and, in fact, that is not what
13 the research showed. So, I think this definitely needs
14 further research, but what is on the table that I am
15 familiar with belies what seems to be an intuitive
16 point.

17 The other thing that I want to ask is, this
18 concept of "simple," that that is not a subjective
19 point; it is, in fact, a researchable point. All of the
20 research that I am familiar with has shown that
21 consumers find a categorical system much more simple
22 than they do a continuous scale, and that is research
23 that I have replicated on all continents actually, and
24 so there is an answer to what consumers find simple, and
25 again, that is something that I would guess that the FTC

1 is going to find in their own research, but it is not
2 what the experts around this table who have spent -- God
3 only knows how many years of policy experience with
4 energy efficiency is around this table, but it is a lot
5 more than most consumers walking into a showroom making
6 the decision.

7 Another point that I just want to make is on
8 this issue of quality. Again, because this is a result
9 that I found surprising, it sticks in my head that the
10 research that ACEEE has done, and I also have seen in
11 the AHAM research, that, in fact, there is not a higher
12 correlation with the stars in consumers' minds to
13 product quality and that that result is statistically
14 significant in the research that has been done on both
15 sides of the table.

16 Another point I want to make is the nature of
17 the ACEEE research. I was actually at ACEEE at the
18 time. Just for those of you who are new, we had a
19 stakeholder committee that participated in that
20 research, including representatives from the industry
21 associations, including representatives from government,
22 including representatives -- I believe FTC sat in as an
23 observer status actually, you did not comment, and so at
24 each stage, those results were presented and comments
25 received and input taken, and so while it may be new to

1 some people and some people may not have seen the
2 research, certainly during the process, we tried as best
3 as we could to vet that result.

4 The last point is if it ain't broke, don't fix
5 it. I think it is pretty clear that this policy, this
6 Energy Guide label, has not been what is driving the
7 market. The Federal Register has legislated three
8 policies, Mandatory Energy Performance Standards, the
9 Energy Star logo, and the Energy Guide label, and I
10 think the question is, do we want to optimize this one,
11 because when you look at the research, it is clear that
12 MEPS and the Energy Star logo has been driving those
13 energy savings and that change in priority of energy
14 efficiency and that the Energy Guide label has been a
15 backseat player, and the question is, if we have three
16 tools, why not make all three the best that they can be?

17 MR. NEWSOME: Okay, thank you.

18 Jennifer, you are next.

19 MS. AMANN: Okay, I have to sort through my list
20 here. A lot of my comments build on what other people
21 have said. I will try not to reiterate too many things.

22 As far as the Energy Star interaction goes, I
23 would just say that we also agree that that is a great
24 avenue for additional research, that there is a lot that
25 additional research can build on the preliminary

1 research that has been done that does show that there
2 seems to be some benefits to the labels and that they
3 can work together, but how that works out in practice
4 certainly is an open question.

5 More specifically, one issue that we did address
6 and I think had some pretty good findings on is the
7 location of the Energy Star, and as Chris discussed
8 earlier, some of the problems with the current
9 placement, and so certainly moving the Energy Star to
10 another portion of the label, having a dedicated place
11 on the label where that Energy Star would appear, will
12 certainly help consumers when they are in the
13 marketplace. It will be very obvious to them whether it
14 is there or not, and so we would just want to make sure
15 that that is included in the testing as well.

16 I think I have made my points on the quality
17 issue and other people have as well, and I think the
18 research shows that there is not an additional indicator
19 of quality.

20 In terms of efficiency impacts, again, there are
21 ways to optimize the label to meet goals of providing
22 information to consumers and influencing energy
23 efficiency, both at the individual's purchase decision,
24 but also more broadly, by having an impact on
25 manufacturers, as we have seen the label having in other

1 countries, and also then helping us meet national goals
2 for reducing energy consumption.

3 In terms of the meaningful differences between
4 categories, I think certainly that is a complicated
5 issue, and there may be products on the market at any
6 given time that because of the range of products from
7 least to most efficient or because of natural
8 differences in the technology mean there are very
9 discrete and different product efficiencies. One
10 example would be in gas furnaces where you have a range
11 of AFUE at which no product even exists, because there
12 is a discrete difference in the technology that is used.

13 You may have a situation where you always have a
14 label that does not have two stars, for instance, and
15 this is not something that I think is going to be
16 noticed by consumers in the marketplace. It is a
17 five-star scale. Maybe there is product at one, three
18 and five stars and nothing at two and four or some
19 variation on that. I do not think that is an unworkable
20 issue.

21 For other products, I think we would -- there
22 has been a number of comments about the range of
23 efficiency for water heaters, for instance, and we think
24 that this is a good time to maybe reconsider the way
25 water heaters are classified and include all products

1 that use the same fuel on the same scale. So, you would
2 have all electric-based water heating technologies
3 compared against one another, and that would include
4 storage water heaters, tankless units and heat pump
5 water heaters, which are compared individually at this
6 point.

7 MR. NEWSOME: I think that is an interesting
8 point, and maybe we should discuss that in the heating
9 and cooling section. I am sure Joe will have some
10 thoughts about that.

11 MS. AMANN: Okay, then we also have some
12 thoughts on a process for the technical input to the FTC
13 on product categories, how that can work, and what
14 triggers there might be in the timing for making changes
15 to the stars-based system. We see it as a system, once
16 a set of stars are developed, that can be the system
17 that is used for a longer period of time. You do not
18 need to have the ranges updated annually, for instance,
19 like is the current system.

20 You could have a system that lasts longer and
21 triggers could certainly be, of course, changes to the
22 federal standard, but also changes to the Energy Star
23 level, those type of events could trigger an update to
24 the stars rating. So, you know, certainly that is not
25 refined, but we think that there are some options that

1 are worth exploring on the implementation side and
2 certainly a lot of experience from overseas that can
3 inform that process.

4 MR. NEWSOME: Thank you.

5 Okay, we have David, then Christopher, then two
6 folks in the audience, and then we will try to wrap up
7 for lunch, and David, you are going to disagree with
8 Larry on the percentage label?

9 MR. CALABRESE: We are a team.

10 I just want to follow up on a couple of issues
11 here and respond to some questions, and there was a lot
12 of discussion back and forth, so I hope it is not too
13 disjointed.

14 I did want to focus, go back to some comments
15 that Jill made and some comments made by Mr. Payne about
16 the flawed nature of the AHAM study, and I do not want
17 to get involved in a tit-for-tat here certainly, but I
18 think there are some important distinctions that need to
19 be made. In fact, Christine said that industry was
20 involved in the process for the ACEEE study, and that is
21 absolutely correct. In fact, many of the responses and
22 concerns that we have in our responses here are the
23 result of on the ground, an AHAM staff member who
24 observed the focus group interviews, and he had observed
25 a number of these inconsistencies, prompting, et cetera,

1 that led us to our concern that resulted in our comments
2 here.

3 I also wanted to comment on the issue of
4 quantitative versus qualitative results, and I think it
5 is important to note that the ACEEE study specifically
6 states that it is not a quantitative study, and I will
7 quote from it. It says, "The nonstatistical nature of
8 this qualitative research means that the results cannot
9 be generalized to the population under study," and goes
10 on to say that "such qualitative research methods, such
11 as focus groups and time-structured interviews --"

12 MS. DEMARTINO: Excuse me, I am going to cut you
13 off, only because we have been through this issue again,
14 and since we only have ten minutes left -- I apologize,
15 Jim warned you that the hammer would come down -- but we
16 have had a number of comments already on the qualitative
17 and quantitative issue, so if you would not mind moving
18 to your next point.

19 MR. NEWSOME: I just want to add to that, I
20 think it would be very helpful on these studies that
21 would be done, if the underlying research could be
22 submitted to the record --

23 MR. CALABRESE: We would be very glad to provide
24 that. We have much data in that regard.

25 The other point I wanted to make is in regards

1 to some of the data that we have gathered and that has
2 been mentioned here is the importance of energy
3 efficiency to consumers, and what our research has shown
4 and has been confirmed is that it is about four to five
5 on a list of important issues that consumers look at
6 when making a purchase decision, and despite Mr. Payne's
7 research, ours shows that it is down the list certainly.

8 Does the FTC, through a change to the label,
9 through its program, want to drive that number from four
10 to five to something else? I do not think that is the
11 mandate, certainly it is not the statutory mandate of
12 the FTC, and I do not think the FTC wants to get into
13 the business of changing consumers' wants and needs.
14 Consumers want what they want. They want performance in
15 some cases, they want features in other cases, and in
16 other cases, they may want energy efficiency. It is not
17 the job of the FTC to tell them, "You need to be
18 thinking about this first." They are making the
19 decision. What the law provides in the statute as well
20 as in the legislative history is that you want to
21 provide energy usage information that can help a
22 consumer make informed decisions about the appliance
23 itself.

24 Lastly, on the issue of the simplicity of the
25 label, I completely agree with all the comments about

1 simplicity. Now, from an optical standpoint, looking at
2 that, it appears to be simple; however, comments from
3 Ann and from Rich, from Energy Star, point out that it
4 is not simple underneath the patina of these stars.
5 There is processes, there are characteristics, there are
6 performance levels that have to be taken into account
7 that that, in itself, does not reflect. You would need
8 to go through such complex and in some cases untenable
9 ways to get these things to match up that it just cannot
10 be done.

11 The issue on performance, that would require I
12 think quite a bit of time for us to do, and I will not
13 spend a whole lot on it. It is not something right now
14 that is included in the Energy Star Program, it is not
15 something included in the federal minimum standards. If
16 the FTC were to get involved in analyzing and reviewing
17 this, I just cannot imagine where you would start. It
18 would be quite an endeavor. So, it would be something
19 that I think you have to -- it would be a separate
20 proceeding perhaps.

21 MR. NEWSOME: Well, that was not my suggestion.
22 It is more to get information on the basis for the
23 categorical labels in other countries, because it is
24 related to the concern people have raised about whether
25 the stars suggest some kind of quality aspect to the

1 product.

2 Okay, let us go to Christopher and then the
3 audience members, and we are running out of time, so...

4 MR. PAYNE: I will just agree with the
5 representative of AHAM that I certainly did not intend
6 for my statements to be taken that I think that FTC
7 should move up the importance of energy efficiency in
8 the list of rankings that consumers have. I perfectly
9 accept the fact that it is regularly four to six on the
10 ranking of importance when one is choosing models. My
11 earlier comments were reflective of the focus on a
12 specific performance range or a specific dollar term and
13 the fact that consumers often take more into their
14 decision than those two variables.

15 I would also say that while energy is regularly
16 ranked in the four to six ranking, I think the Energy
17 Guide label actually does a very effective job of
18 allowing consumers to "tie-break" when they are looking
19 at two or three models that they have decided on in a
20 showroom, and they are saying, "Well, you know, I kind
21 of like this one, I kind of like that one," at that
22 point they tend to look at the Energy Guide label as a
23 way to swing them one way or the other. So, yes, it is
24 not the first thing they focus on, but it can be an
25 important input to their decision.

1 You had asked earlier, should we bother to
2 include the percentage label or not in our future
3 research, and I would say only that as I said earlier,
4 that current percentage system does address a problem
5 with the continuous scale, which is this flipping axes
6 problem. So, if you take that off the table, I think
7 you still need to fix that underlying problem, and I
8 will leave it at that. It did address an important
9 concern.

10 I would like to return to a broader issue of
11 this question of, is the current Energy Guide label
12 broken? I believe it is, and I believe that we have
13 data to support the statement that the current guide is
14 broken. It does not do its intended job in
15 communicating effectively consumption information to
16 consumers. In one small research project with which I
17 am familiar, one consumer in three misinterpreted the
18 label and chose the more consumptive appliance. Now,
19 that is a fairly significant problem, and it points out
20 a significant potential for improved consumer
21 comprehension and potentially energy savings if the
22 comprehension of the label is improved using these
23 techniques we have discussed.

24 I think I will conclude with that.

25 MR. NEWSOME: Okay, thanks.

1 All right, J.B.?

2 MR. HOYT: J.B. Hoyt from Whirlpool Corporation
3 again.

4 My firm is a major player in the European market
5 where categorical labels are the lay of the land, and
6 our experience there is extremely negative. That
7 started out as an A to G scale and has since become an
8 A++ to G scale. It has migrated around because of a
9 variety of things, both consumer and manufacturer
10 oriented. The experience there shows that this is
11 fraught with error, with manufacturer cheating and with
12 tremendous enforcement problems, and I would caution the
13 Commission to recognize the enforcement burden around
14 that should they go to that kind of a label.

15 The European label, indeed, does incorporate a
16 number of other aspects other than energy efficiency,
17 noise, water consumption, where appropriate,
18 performance, et cetera. Again, it is way beyond the
19 category of what has been legislatively requested here
20 or that I think we want to get into. As indicated by
21 someone else, we have tried to avoid those in energy
22 standards and Energy Star discussions.

23 A point was made that market transformation is
24 working, and there Christine and I would agree. The
25 Energy Star program is driving that, as Rich and Ann

1 have indicated, they continuously -- not continuously,
2 but routinely raise the levels there, and so market
3 transformation is being handled very effectively in
4 something outside of this label. We do not need to
5 redundantly address it with this label.

6 Finally, a couple of comments on market
7 research. Again, I am sorry to go back to basics, but I
8 am afraid I must. Do not confuse quantitative research
9 with nationally representative research. I can go out
10 and stop a hundred people on the street and tell you
11 that 83 percent of them say X. That does not mean that
12 83 percent of the nation would feel that way. Be very
13 careful.

14 And Christine, with deference to you, dogs and
15 dog food, consumers and energy, market research in the
16 durables business is extremely complicated, extremely
17 complex, and I think you understand that my dogs comment
18 was not about dog food.

19 MR. NEWSOME: Okay. I think that is -- why
20 don't we -- oh, do we have somebody -- is there someone
21 else in the audience that -- oh, Natascha.

22 MS. CASTRO: I just had a quick point. I was
23 thinking about --

24 MR. NEWSOME: Natascha, can you give your name
25 and affiliation for the record?

1 MS. CASTRO: Natascha Castro from NIST, National
2 Institute of Standards and Technology, and my thought
3 was the opportunity of using the label as a means to
4 improve energy efficiency by impacting consumer
5 behavior, and my background is working on the dishwasher
6 test procedures, and we have looked at survey data that
7 shows consumer habits are to pretreat dishes, prewash
8 dishes, and basically clean a load of virtually spotless
9 dishes. So, my thought was if we can provide
10 information on the label, perhaps in the means of an
11 energy tip, that shows that pretreating, prewashing
12 dishes uses, you know, two times the energy, or actually
13 we could relate it in terms of cost of energy, that
14 might be a more meaningful measure to consumers.

15 This is a point that manufacturers have been
16 trying to make to consumers, the importance of using the
17 efficient dishwashers instead of inefficiently
18 hand-washing with hot water before using the dishwasher
19 as just a rinsing tool. So, I think perhaps
20 manufacturers could perhaps suggest a line that could be
21 a good point to consumers.

22 MR. NEWSOME: Okay, thanks a lot for raising
23 that.

24 So, just before we break for lunch, I just want
25 to reiterate that we are accepting written comments as

1 part of this workshop until May 17th. So, if there are
2 additional issues that people want to raise, also, if
3 people have more thoughts about the percentage label,
4 which we had some additional comments on it, but if
5 there does seem to be a consensus that that is just a
6 no-go, then that is something we want to know about,
7 because it simplifies our approach.

8 Okay, well, let us break for lunch, and we will
9 start at 1:00 sharp. Thanks a lot.

10 **(Whereupon, at 12:01 p.m., a lunch recess was**
11 **taken.)**

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 **AFTERNOON SESSION**

2 **(1:04 p.m.)**

3 **SESSION 2: REFRIGERATOR LABELS AND RANGES**

4 MS. DEMARTINO: Okay, I think we are going to
5 get started.

6 Well, I know we are missing a whole bunch of
7 folks --

8 MR. ROSENSTOCK: That will make it go a lot
9 faster.

10 MS. DEMARTINO: That is true. We could just
11 make some decisions on our own and --

12 MR. WETHJE: Let us vote on the categorical
13 label --

14 MR. CALABRESE: And Larry and I have to leave
15 soon, so --

16 MS. DEMARTINO: Well, anyone who comes late
17 cannot get any cookies, how about that?

18 Well, I know we spent the whole morning talking
19 about label design, and I did have one question that I
20 wanted to pose to everyone for their consideration when
21 making written comments, and we have talked a lot about
22 the ranges, whether it is a continuous range, a
23 categorical range, and one consideration that one of my
24 colleagues at the FTC raised is, well, what would the
25 pros and cons be of minimizing the range and having the

For The Record, Inc.

(301) 870-8025 - www.ftrinc.net - (800) 921-5555

1 two main figures on the label be the estimated yearly
2 energy use and the estimated yearly operating cost, the
3 two boxes at the bottom of this label, meaning should
4 that be the focus of our label?

5 And again, I am really raising it just so that
6 you can address it in comments since we will be focusing
7 on refrigerators, and if there is, of course, any
8 testing on that, we would like --

9 MR. CALABRESE: So, on the label, the use would
10 be on the scale you are saying, on the left and right?

11 MS. DEMARTINO: No, I mean the two boxes at the
12 bottom would be --

13 MS. NOTINI: The main focus.

14 MR. CALABRESE: -- bigger.

15 MS. DEMARTINO: -- they would be the main focus,
16 so flip this, so the two boxes on the bottom of this
17 continuous label are on top and they are enlarged, and
18 then, of course, our range is smaller.

19 MR. ROSENSTOCK: That box is a lot smaller, I
20 see what you are saying.

21 MS. DEMARTINO: Right.

22 MR. WETHJE: Do you want some preliminary
23 comments? Personally, I think it is not a bad idea at
24 all. What does a consumer really think about? What
25 does this product cost me to operate? They do not want

1 to know the kilowatt range. They want to know how much
2 is it going to cost them to operate, and if you have
3 that number on there, that takes away the whole problem
4 of the next issue we are going to talk about as far as
5 combining classes of refrigerators and whatnot, you
6 know, really what they want to know is comparative cost
7 of operation, and so personally I think that would be
8 the place to focus their attention and minimize the
9 other things.

10 The range thing just becomes problematic. As
11 new models are introduced on a periodic basis, it is
12 tough for you all to keep up with when do we change the
13 ranges, and then changing the annual cost of energy, the
14 average annual cost of energy to coincide with those
15 ranges, as you know, is problematic. The way you do it
16 now, it is only when there is a 15 percent shift in the
17 ranges, and so you have got all sorts of models out
18 there or different appliances in the marketplace using
19 different average cost for the energy, and that is
20 confusing, so...

21 MS. DEMARTINO: And just note, and I will point
22 this out just so that you can keep it in mind as you
23 further consider the issue, is that we are statutorily
24 mandated to include a range, some type of range on our
25 label. The range, of course, could vary. Obviously we

1 have talked about categorical labels as the range or
2 continuous range, but I understand your point.

3 Steve, did you have a few --

4 MR. ROSENSTOCK: I guess just a quick follow-up.
5 You know, again, you could always also experiment with
6 the font size of the estimated operating cost and what
7 it is based on, because it is a bigger font size that
8 shows that it is 2005 data, 9.06 cents per kilowatt
9 hour, again, some consumers might like to see it, others
10 will not care, and it is kind of a "fine print thing,"
11 so again, you might want to ask about, if that font was
12 bigger, would it help the consumer, yes or no, or shrink
13 down the sentence a little bit, "This is U.S. Government
14 2005 estimate," something like that.

15 MS. DEMARTINO: Right, and during one of the
16 breaks, I got a question that I would like to answer on
17 the record, and that was, we have three examples of a
18 label up here, and obviously many of them are based on
19 labels that had been tested in the past, but who
20 designed the labels for us? Was it done internally or
21 did we hire someone? And for these labels, such as the
22 percentage label that we were showing you earlier, that
23 was done in-house. We have a Division of Consumer and
24 Business Education. They translate everything that us
25 lawyers say so that it can be understood by consumers,

1 and as part of their work, obviously, they have folks
2 who focus on graphic design. So, they assisted us in
3 creating the labels that we are showing you today. So,
4 just to answer that.

5 Well, let us move on to refrigerators, and as
6 you all know, the current Energy Guide labels include a
7 range of comparability that is different for different
8 subcategories of refrigerators, and a few of the written
9 comments question the usefulness of these separate
10 ranges for the refrigerator subcategories, and so we
11 wanted to explore the issue in more depth.

12 I guess I will begin by asking just the general
13 question of, what are your views on the current system
14 for refrigerator ranges?

15 Okay, well, we will start just in terms of the
16 order of who raised their hand first. I am actually
17 going to start with audience participation. It is J.B.,
18 right, and then we will go to Steve and then to Larry.

19 MR. HOYT: Thanks, Laura, J.B. Hoyt from
20 Whirlpool Corporation.

21 We actually like the categories as they are
22 today. We think those are relevant. And again, I go
23 back to, you know, how do the dogs want to eat the dog
24 food? And consumers are very interested in things that
25 are relevant to them, and if you make the categorization

1 too broad, the relevance goes away.

2 Why is this particularly important in
3 refrigerators? In refrigerators, certain key
4 characteristics, such as product configuration,
5 side-by-side versus top-mount versus bottom-mount, are
6 preeminent in the consumers' thinking. That is the
7 first criteria they come to, and that is going to
8 overweigh other factors such as operating cost or other
9 issues. So, again, the hierarchy -- and I do not have
10 exact research data, although I am sure we could try and
11 get it for you -- it is probably configuration,
12 features, cost and then energy.

13 If the categories were to be combined into, say,
14 all 20 to 21-cubic-foot refrigerators, you have got a
15 mishmash of units that are fundamentally different.
16 Side-by-side refrigerators by their very design consume
17 more energy, and that is why they are in a separate
18 category under the federal energy standard, and so you
19 would be making comparisons that are not relevant to a
20 consumer. A consumer wants to buy a side-by-side, but
21 he finds out that he cannot get half the scale. You can
22 only get to the other half of the scale. So, keeping
23 them separated by major energy configuration is
24 something that we would deem to be very appropriate.

25 MR. NEWSOME: Just a quick question. Is there

1 research that shows what people are thinking when they
2 walk in the store? I mean, are they pretty much set on
3 getting a side-by-side as opposed to another
4 configuration?

5 MR. HOYT: Hampton, I believe that to be the
6 case. I do not have specific data at my fingertips to
7 support that, but it is a configuration-dependent choice
8 depending on the way they want to use the products.

9 MR. NEWSOME: Because that seems to be kind of a
10 fundamental issue here, what is the consumer thinking
11 when they walk in, and so maybe some other people have
12 some thoughts on that.

13 MR. HOYT: We would be happy to see if we have
14 any specific research on that. I obviously do not know
15 the question, but I will look into it and see if we have
16 anything, and if we do, we will put it in the written
17 comments.

18 MS. DEMARTINO: Great. Since we have a few
19 folks joining us, I will just sort of bring you up to
20 speed quickly on what we have talked about.

21 I will start, we talked a little bit about the
22 Energy Guide label design and whether the focus of the
23 label should be on the two boxes that are currently at
24 the bottom of the label, estimated yearly energy use and
25 estimated yearly operating cost, should those two boxes

1 be the primary focus of the label. Of course, we would
2 still have a range, but it would be smaller and perhaps
3 at the bottom of the label. What are the pros and cons
4 of that approach? And really, we heard a few comments
5 on it today, but it is really for your written
6 submissions, just to keep that in mind, consider it as
7 another alternative.

8 Then we just started talking about refrigerators
9 and opened with the question of is the current system of
10 ranges effective in allowing consumers or assisting
11 consumers in their purchasing decision, and so Steve,
12 you are up next.

13 MR. ROSENSTOCK: Thank you, Steve Rosenstock,
14 EDI.

15 I just want to kind of follow on that this type
16 of system does help consumers with apples-to-apples
17 comparison, especially if the research has shown that
18 they have already decided on a side-by-side type of
19 refrigerator, and they have already decided that they
20 want a through-the-door ice dispenser, comparing that
21 unit to a top freezer with no ice dispenser really does
22 not make sense, because they have already really decided
23 what features they want. So, in terms of energy usage
24 and energy efficiency, it is best to kind of show the
25 category, what is actually out there on the marketplace.

1 Apples to oranges really does not make sense.

2 Then, most of the showrooms that I have been in
3 as a consumer, whether it is a hardware store,
4 department store, I will just name some names, Sears,
5 Wal-Mart, you know, Home Depot, Lowe's, et cetera, they
6 will have the different models with the different
7 configurations. So, if a consumer wants to look at
8 other models with other usage and other configurations,
9 all they have to do is walk five or ten feet down and
10 look at other models and look at the energy that they
11 are using, and if the numbers are out there, the
12 baseline numbers are like 600 versus 550, they can use
13 that and they can make their own judgment.

14 MS. DEMARTINO: I know you and J.B. had
15 mentioned about consumers have made up their mind about
16 configuration, and that is the first thing they think of
17 first. I would encourage anyone who has research to
18 support that proposition to please include it in writing
19 so that that can be part of our record.

20 MR. ROSENSTOCK: And I should have said if the
21 research shows that, then it really makes sense. I do
22 not have that, but I am just -- again, just as a
23 hypothesis.

24 MS. DEMARTINO: Okay.

25 Larry?

1 MR. WETHJE: I think our trade association does
2 have some of that information, that features and type of
3 configuration are much more on the forefront of
4 someone's purchasing decision than the energy
5 consumption. So, we would be happy to provide that.

6 Other than that, I would just underscore what
7 Steve said. I think he said it exactly right. We do
8 not see the need to combine these product categories.
9 We think it is working fine the way it is. If somebody
10 wants to compare a side-by-side to a top freezer or a
11 bottom freezer, they can look at the annual energy
12 consumption or the annual operating cost and do that,
13 and so we do not see the need to combine the categories.

14 And while I have the floor, can I just make one
15 other comment that is somewhat related to this but not
16 directly?

17 MS. DEMARTINO: Go ahead. I will allow it.

18 MR. WETHJE: I have to leave in about an hour,
19 and I am not sure there is any other place on the
20 agenda.

21 MS. DEMARTINO: Sure.

22 MR. WETHJE: I did not want something to get
23 lost in the whole discussion that we submitted in our
24 comments, and that was this whole issue of establishing
25 what do you use for the annual average -- not the

1 annual, but the average electric cost or average fuel
2 costs? And as I said before, right now, you have
3 multiple products out there with labels using multiple
4 different average fuel costs, because you only change
5 the ranges any time there is more than a 15 percent
6 shift in the end points, and I would like to just
7 suggest, as we did in our written comments, that you do
8 not overlook -- it may be better just to establish a
9 cycle when you establish the average fuel costs for all
10 products and do it consistently every two or three
11 years. That way everybody is using the same costs.

12 Manufacturers can then kind of manage their
13 label inventory so that they know when the fuel costs
14 are going to change, and they know when they need to
15 revise their labels. I think that might be a better way
16 than doing this 15 percent business.

17 MS. DEMARTINO: Okay, Bernard.

18 MR. DEITRICK: When you compare apples to
19 apples, sometimes you have Red Delicious, sometimes you
20 have Macintosh, and it is not always easy to compare a
21 refrigerator, one refrigerator to another, especially in
22 terms of energy efficiency, because it is more than just
23 that bottom dollar amount or kilowatt hours per year. I
24 am the architect of our rating system for refrigerator
25 efficiency, and the comment that I always get from

1 manufacturers is, "But our refrigerator had an Energy
2 Star. Why doesn't it get an excellent score under
3 energy efficiency?" And the simple fact is that we try
4 to compare all refrigerators fairly, on a fair basis,
5 and to do that is beyond the ability of a consumer.

6 I could have two identically sized refrigerators
7 where the freezer is larger on one, and it is going to
8 require more energy to keep that freezer cold, and it
9 should use more energy, and it may not use more energy
10 because it is more efficient, but that proportioning is
11 something that a consumer cannot do. So, having an
12 absolute basis to compare energy efficiency on
13 refrigerators is important.

14 You do not want to have an Energy Star model
15 that uses more energy than a similarly sized and split
16 refrigerator that does not get an Energy Star. I think
17 that is counterproductive to the goal of encouraging
18 selecting a more energy-efficient refrigerator.
19 Especially since refrigerators, part of the design
20 choice is how much is in the freezer and how much is in
21 the refrigerator, the efficiency question becomes a
22 little bit more cloudy, and it is harder for that
23 comparison to be performed.

24 So, having an efficiency that is calculated for
25 the refrigerator and displayed in a manner that allows a

1 fair comparison, whether you are comparing one
2 side-by-side to another side-by-side or a side-by-side
3 to a French-mount -- French door/bottom freezer
4 refrigerator or a built-in, you may want to compare
5 those, and all of those have different size splits, and
6 you really want to be able to say, "This one is more
7 efficient than another."

8 So, refrigerators is clearly a unique case.
9 There is different sizes, there is different
10 configurations. Most dishwashers are 24 inches, they
11 fit in a standard bay. So, I think you need to take a
12 unique approach to refrigerators and clearly give better
13 guidance than what is given now. This is a case where
14 the star rating system would work very, very well. It
15 would allow fair comparisons across types of
16 refrigerators, it would help the consumer pick a more
17 efficient refrigerator, and not hamper their ability to
18 compare across one type if they have actually made up
19 their mind that they want a less efficient refrigerator.

20 I think it is also a situation where you are
21 going to need to address the Energy Star designation.
22 If you look at the Energy Star listings of
23 refrigerators, just at the more typical size, 18 and
24 above, there is almost 800 side-by-sides, and there is
25 only 200 top-mount freezers. Now, some of those are the

1 same model with different model numbers because they
2 have different things, but by DOE regulations,
3 side-by-side refrigerators are allowed to use much more
4 energy, and to have that many more models designated as
5 Energy Star, which you would think would be promoting
6 energy conservation, there is an imbalance there. So,
7 having the rating and addressing the Energy Star for
8 refrigerators I think is very important.

9 MR. NEWSOME: I have just a quick question. You
10 mentioned the categorical or star label. How is it
11 easier to address this issue with that label than with
12 the current continuous -- I assume that the way to
13 address this with the current label is just to make the
14 change reflect all the configurations, it would just be
15 much bigger, and another issue there is all the ranges
16 there are broken down by size, too, so --

17 MR. DEITRICK: Right. Well, the way that we
18 score our refrigerator efficiency is we do it on what I
19 call a specific energy usage. It is how much energy the
20 refrigerator uses per cubic foot of cooled space, and it
21 is an adjusted volume based on the freezer split. All
22 that data is available in the AHAM Guide. The listing
23 of certified refrigerators has the adjusted volume and
24 the energy usage, and simply ratioing those, you come up
25 with a number, and lower is better.

1 If you look at the Energy Star top-mount
2 refrigerators, that number is approximately between 18
3 and 20. For side-by-sides, it is 18 to 22. So, clearly
4 side-by-sides are not as efficient, and our ratings
5 reflect that, but it is not readily apparent from the
6 current way that the Energy Guide sticker is designed.

7 MS. DEMARTINO: And can I just follow up, just
8 to make sure I am understanding what you are saying?
9 When you, Consumer Reports, is looking at refrigerators,
10 you are categorizing based on something like adjusted
11 volume and energy use, you use both of those factors, or
12 are you splitting them up by the volume of the
13 refrigerator?

14 MR. DEITRICK: There is a lot of different ways
15 you can dice refrigerators in terms of categories. You
16 can look at the width, those smaller than 30 inches,
17 smaller than 33 inches, and up to 36 inches. You can
18 look at volume. You can look at style. We have chosen
19 to categorize them by style because we think that people
20 have a style in mind. That does not mean that we do not
21 want our readers to be restricted to looking at this and
22 fairly comparing side-by-sides only together. We want
23 them to be able to say, "Oh, look at these top-mounts.
24 They are much more energy efficient," or "These bottom
25 freezers are much more energy efficient than this one

1 model and maybe I should consider that."

2 We go a little bit further than what I have just
3 suggested, using the adjusted volume. We look at a
4 volume that we measure that we call the usable volume,
5 and when you have these very nicely configured
6 side-by-sides with through-the-door ice and water and
7 trays and bins and all these nice things, that actually
8 means that you can fit less into those refrigerators
9 than the stated volume would imply, and so we actually
10 measure what we call the usable volume, and that becomes
11 a basis of our energy efficiency calculations.

12 We are not suggesting that you go out and
13 measure the usable volume of refrigerators, but there
14 are listings available of the adjusted volumes of every
15 refrigerator that is sold, as well as the energy used,
16 and you can come up with an energy factor type number,
17 and then that could become the basis of a star rating.

18 MS. DEMARTINO: Okay. If we can go to Jennifer
19 and then we will also hear from Energy Star.

20 MS. AMANN: In allowing consumers to make a
21 comparison and a decision about energy use of the
22 products that they are looking at, we see a real benefit
23 to including multiple configurations within a size
24 category on the same label. For those consumers who are
25 only shopping within class or within category, they are

1 not hampered in their decision-making if there are
2 side-by-side and top-mount and bottom-mount all on the
3 same label. There is a limited subset of those products
4 that they are interested in considering, and they can
5 still compare the energy use of the models they are
6 interested in on that scale, but for those consumers who
7 are interested in looking for the most efficient product
8 in their size category or that do want to do a
9 comparison across class, combining them will allow them
10 to do that cross-class comparison, which is otherwise
11 very difficult for them to do.

12 I would also suggest that it also provides
13 people information that they may not have. A number of
14 consumers are not aware that there are energy
15 differences inherent in the configuration of the
16 refrigerator that they are looking at, and so that is an
17 added bit of information that could be useful for them.
18 You can say that if people are interested in looking at
19 multiple configurations and comparing their energy use,
20 they can then go and look at the one and then go look at
21 the label, since they cannot do the comparison on the
22 same label, but many consumers I am sure are not aware
23 that there is an underlying difference in the energy
24 consumption of the different configurations.

25 So, I do not see any draw-back for people who do

1 want to shop only within a set configuration of having
2 them combined, but I see many benefits for people who
3 are interested in looking across configurations.

4 MS. DEMARTINO: Okay, we are going to go to
5 Steve, Larry and then Rich.

6 MR. ROSENSTOCK: Just a quick one, as a
7 follow-up to and as a long-time reader of Consumer
8 Reports, they break out equipment by certain
9 subcategories. Clothes washers, a recent magazine
10 showed top-loaders versus front-loaders in terms of how
11 they ranked the appliances, because of the different
12 features, and again, I do not remember exactly how they
13 did the energy categorization, the red circle that is
14 the best in Consumer Reports, but the thing is --

15 MR. DEITRICK: I am sorry, we do break them into
16 categories to make them easy to find, but when we score
17 them, if they are given a score based on energy
18 efficiency, that is done identically, no matter the
19 configuration of refrigerator or washer. It is simply a
20 convenience to allow our readers to find the model that
21 they may be interested in.

22 MR. ROSENSTOCK: Okay, but there is still the
23 aspect of the fact that it helps the consumer by doing
24 that.

25 MS. DEMARTINO: Right, and remember here as you

1 are commenting that we are talking about a label that
2 consumers are seeing in the showroom, and I think one of
3 the questions that underscores maybe what Bernard and
4 Jennifer are saying is that do consumers know that the
5 label is different? It is a different range for
6 side-by-sides than for top-mounted freezers, and should
7 that change?

8 MR. ROSENSTOCK: Again, it is a matter of how
9 much information do you really put on that label. I
10 mean, do you want to say, well, this is the automatic
11 defrost, but here is one with no automatic defrost, it
12 is a top-mounted freezer? How much would you have to
13 explain on the label? Because the lower part of the
14 range is 300 kilowatt hours, well, that is a
15 15-cubic-foot refrigerator, top-mounted freezer, no ice
16 dispenser -- you might have to put so much more
17 information. Again, there is that clutter issue.

18 MR. DEITRICK: You put three stars or four
19 stores or three and a half stars, and that is the
20 information. It is a rating that all the calculations
21 are done in the background, that all the consumer needs
22 to know is that three and a half is better than three,
23 is better than --

24 MS. DEMARTINO: And I understand that we can
25 present the information differently, of course, if we

1 were going to a categorical label, but now it is just
2 sort of the fundamental question of should these
3 categories be combined.

4 So, Larry, I think you were up next.

5 MR. WETHJE: Well, again, we do not think that
6 they should be combined --

7 MS. DEMARTINO: If you wouldn't mind just
8 speaking a little closer to the mic.

9 MR. WETHJE: We do not think they should be
10 combined. Just responding to Jennifer's comments that
11 it would be very difficult to compare cross-classes, I
12 do not see the difficulty. You have got annual
13 operating costs on all of the labels. It is a very
14 simple comparison that consumers can readily do right
15 now. They can compare the annual operating cost of a
16 side-by-side to the annual operating cost of a top
17 freezer or bottom freezer if they want to, but the way
18 they are organized now is you have separate ranges of
19 comparability for each of those product classes which
20 assists the consumer in giving them better clarity to
21 know what is the most efficient side-by-side on the
22 market, what is the most efficient top freezer and what
23 is the most efficient bottom freezer, which is, like we
24 said before, they are going to be more concerned with
25 buying a particular product type and category than they

1 are about comparing different product types and
2 categories.

3 MS. DEMARTINO: So, what would the draw-back be
4 of having the range have, as the low number, the least
5 efficient of all types, subcategories of refrigerators?
6 What is the draw-back of that approach?

7 MR. WETHJE: The draw-back would be if you
8 combined all three types, top freezers, bottom freezers
9 and side-by-sides, in one class, you are going to have
10 one upper limit. You are going to have the most
11 efficient shown for all those three types. If a person
12 is shopping just for a side-by-side refrigerator, he is
13 going to want to know what the most efficient
14 side-by-side is, and you are not going to be
15 communicating that information. He is going to have to
16 search all the units on the floor to try to determine
17 that.

18 Right now you are providing them with the most
19 efficient side-by-side. You are also providing them
20 with the most efficient top freezer, and you are also
21 providing them with the most efficient bottom freezer,
22 the way we are doing it now, and somebody going into a
23 store, that is typically the way they are going to be
24 looking for a unit, is by particular product class, not
25 by comparing the different ones.

1 MS. DEMARTINO: Okay. I know, Rich, you had --
2 yes, no, you had something on this?

3 MR. KARNEY: Just for the record, just a point
4 of clarification -- just a point of explanation,
5 rather -- I have no opinion on this discussion --

6 MR. NEWSOME: Rich, could you give your name?

7 MR. KARNEY: Rich Karney, Department of Energy,
8 Energy Star.

9 Just for a point of baseline, Energy Star is
10 based on the federal standard. The federal standard is
11 based on the various classes, the types of
12 refrigerators. We take the minimum federal standard, we
13 subtract 15 percent, and that is how we set the Energy
14 Star level for refrigerators. That is based directly on
15 the federal standard, on the equation. I just want that
16 for the record so you will know where we set the label.

17 MS. DEMARTINO: Thank you.

18 Okay, we have Christine, Christopher and then
19 Rebecca. So, Christine, you are up first.

20 MS. EGAN: I want to just make a point that I
21 think the fundamental issue is, what is visible to the
22 consumer, what information do they need, and how does
23 this play out in the market? The utility to the
24 consumer, the value they place on a stylistic difference
25 of a side-by-side, a top-mount, a front-mount, that is a

1 known factor, as many of the manufacturers said,
2 consumers come in saying, "I do not want one of those
3 bottom mounts, because I do not want to bend every time
4 I take my Lean Cuisine out of the freezer." I mean,
5 that utility is a known factor.

6 However, the energy consumption that those
7 different styles result in is not a known factor. You
8 have to understand the thermodynamics of a refrigerator
9 to understand why a top-mount uses more than a
10 bottom-mount. I mean, it is a technical issue. So, to
11 say that the consumer can walk around the floor and see
12 that a side-by-side uses more energy than a top-mount,
13 well, they have no basis to even ask that question in
14 the first place, and the way that this label is set
15 right now, they are not being encouraged to ask that
16 question, but they would be encouraged if they were all
17 labeled as one unit.

18 I just want to point out, the Federal Trade
19 Commission has, in fact, taken this issue up in the past
20 for other products, clothes washers, and, in fact, made
21 the decision with H axis and vertical axis, to label
22 them as one unit, and the reason was because there was a
23 big energy consumption difference between those, and so
24 you have a precedent for making this decision to put all
25 the products in one category because you want to

1 communicate real differences in energy consumption by
2 design, by product type, and I would argue that
3 refrigerators is clearly a case -- I mean, you have got
4 even a wider range of energy consumption differences
5 than you did in the H axis discussions. So, just the
6 visibility of energy consumption related to design
7 features is something that can only be achieved by
8 combining the refrigerators. It just is a question of,
9 what information do you want to provide and to what
10 extent do you want to encourage energy efficiency?

11 MS. DEMARTINO: Christopher?

12 MR. PAYNE: One point I would like to make in
13 the current discussion is that there has been an
14 assumption, I think, in the discussion so far that the
15 current label is not doing harm to a consumer's
16 comprehension of the energy consumption of a product,
17 and I am not sure that is true. I think based on
18 limited research that I have done that the prevalence of
19 multiple categories within a refrigerator class, in
20 fact, tends to confuse consumers. They look at a label,
21 and when they are able to comprehend it effectively,
22 particularly in the Energy Star case, they can look at
23 one label and say, "Okay, this one got an Energy Star,
24 and it says that my operating cost is \$50; this one over
25 here does not have an Energy Star, and it says my

1 operating cost is \$40. So, the Energy Star model costs
2 more. So, I should not buy an Energy Star model,
3 because that is what the label is telling me."

4 Right now, I think there is a problem there that
5 consumers tend to look at refrigerator labels
6 particularly, recognize this confusion in how the models
7 are categorized, and therefore, consider the information
8 invalid, and I think there is a real question there as
9 to the overall effectiveness of the Energy Guide label
10 as a whole if consumers are looking at this and
11 devaluing the information because they are confused by
12 this multiple category system, and therefore, it is not
13 simply a question of can we provide additional
14 information to consumers that would be beneficial from
15 an energy efficiency standpoint. The question is really
16 can we reduce the current lack of comprehension that the
17 current label creates.

18 MS. DEMARTINO: Okay, Rebecca.

19 MS. FOSTER: A few of the points I was going to
20 raise have been addressed, so I think I will get back to
21 the basic question, which I think is one the FTC really
22 needs to address in answering this question, which is
23 how should the Energy Guide label balance the need to
24 communicate information to inform consumer decisions on
25 efficiency with the need for consumers to be able to

1 balance amenity delivered by certain products. So, I am
2 a little torn in terms of the issue. The CEE appliance
3 community supports you all, considers the question, and
4 we will be submitting some comments in our written
5 comments that may help with that consideration.

6 One that comes to mind now is looking at the
7 washer example with combining front and top-loading
8 washers into one category, how is that decision made?
9 What impacted that decision? How is that category
10 different from or similar to refrigerators? So, I think
11 this is an easy question, but hopefully we can submit
12 some recommendations and questions to help you all as
13 you determine what to do with this.

14 MS. DEMARTINO: Okay, does anyone else have
15 any -- you have heard a number of point/counterpoint.
16 Do we have any --

17 MR. NEWSOME: I guess just to add to the
18 questions, I mean, there is a general issue here about
19 whether to combine them or not. I am also interested
20 in, assuming we were going to combine them, which we
21 obviously have not made that decision yet, but how would
22 that actually be done with the various label designs,
23 with the continuous label, or are you just expanding the
24 range so that you are capturing all the different
25 configurations, with the categorical label or maybe the

1 percentage label, how are you getting that information
2 across?

3 MS. DEMARTINO: Go ahead, Bernard.

4 MR. DEITRICK: Clearly I think you need to
5 expand the range. There are too many cases where the
6 refrigerator that has the label is the only refrigerator
7 in that category, and you do not lose any information by
8 expanding the range; you gain information by expanding
9 the range. What you do not gain if you only expand the
10 range and report the kilowatt hours per year is the idea
11 of actual energy efficiency in terms of the differences
12 in freezer and refrigerator volumes and how that affects
13 your expected energy consumption.

14 So, giving not a bar but an energy rating on a
15 five-star basis that shows the relative energy
16 consumption on a cooled volume basis is probably the
17 easiest way to allow a fair comparison between both
18 models that are of the same design category or of
19 different design categories.

20 MS. DEMARTINO: Christine, did you have
21 another --

22 MS. EGAN: I just wanted to respond to Hampton's
23 follow-on question about the different label styles.
24 The first thing, you raised a question earlier about the
25 star label and that in your star label, the range

1 information actually had been taken out. It is just the
2 five stars.

3 One of the suggestions that I would have is
4 actually that that be included. In fact, we tested
5 versions of the star that did not have that range and,
6 in fact, were told to please put that range back in, and
7 the reason for that is that there is a certain
8 population that looks at the labels the way Steve does,
9 for example, and wants the detail, wants that numeric,
10 quantitative information, and then there is a certain
11 population, maybe those of us who have more social
12 science/marketing degree backgrounds, that really does
13 not want to be bothered with that detail, they just want
14 the stars.

15 So, my comments in response to your question are
16 based on the idea that to have a star label with the
17 range in there, because that would be my suggestion --

18 MR. NEWSOME: But doesn't that imply that the
19 bottom of the range equates to one star, and at least
20 the ranges we have now, that would not be the case just
21 because of the way the products are distributed through
22 these ranges?

23 MS. EGAN: I do not think I understand your
24 question.

25 MR. NEWSOME: With refrigerators, which are

1 difficult, because we have 80 subcategories of
2 refrigerator ranges, because we have got eight different
3 configurations, and within each configuration, we have
4 got different volume categories, and so in some of those
5 categories, we may only have four models, and the range
6 there may be, you know, quite small. So, if you were to
7 apply that range over a star system, then it may create
8 difficulty.

9 MS. EGAN: What I was about to say is I actually
10 would argue for the condensing of your numbers of
11 categories down to, in my opinion, refrigerators
12 overall, regardless of whether or not you have a star
13 label or a continuous scale label. That would be my
14 suggestion, because I think it is the one that would
15 probably use the most energy efficiency. So, I am
16 envisioning -- the basis of the comments is the choice
17 between each of these label designs that you have
18 presented where there is a range, either because you
19 have condensed it down to -- did you just say 80
20 refrigerator categories?

21 Let's say you cut it down to 40 or whatever,
22 that there is a reasonable range, that there is actually
23 meaningful differences that taking that decision to
24 condense down results in, then if you look at a star
25 label, the percentage label and the continuous scale, I

1 think that by having that range information, it actually
2 enhances the validity of that, and the only one I see
3 there being a problem with is the percent-based label,
4 because if you are putting multiple categories into the
5 same label, then you have different MEPS thresholds that
6 you are trying to meet, and taking that decision I think
7 precludes your ability to use the percentage-based label
8 in this environment.

9 I do not think you can do both. I do not think
10 you can use a percentage-based label -- and maybe
11 somebody has a different idea -- but use a
12 percentage-based label and try to have categories that
13 are different from how MEPS are set. I think that from
14 a policy perspective, you cannot optimize both of those
15 things. And that is my only thought in response to your
16 question, only for that one.

17 MS. DEMARTINO: All right, Jennifer, Steve and
18 then David, and then we will have to unfortunately move
19 on to heating and cooling.

20 MS. AMANN: Yes, just one thing. I would
21 suggest that you guys look to the experience in
22 Australia where they are using a categorical-based
23 label. Their minimum efficiency standards for
24 refrigerators are modeled after the U.S. standards, so
25 it is a very similar setup with the same use of

1 configuration, size and other features that determine
2 the minimum efficiency standard, but in their labeling
3 system, which is a categorical stars-based label, they
4 combine configurations on their label. So, they may
5 have some interesting input into how they have been able
6 to implement that, what some of the pros and cons were,
7 and how they have been able to come up with something
8 workable.

9 MS. DEMARTINO: Steve?

10 MR. ROSENSTOCK: Just a quick follow-on to what
11 Christine was saying, I am just looking at these numbers
12 right here just as an example and just trying to think
13 about the star -- if you could go to the four-star one,
14 the other example that was up here. You said that there
15 was a range in there. Here is the range, 539 to 698, on
16 that star with the range was a 6 -- let us say there
17 were four stars on it. The 698 was on the left-hand
18 side, the 539 was on the right-hand side, and it shows
19 four stars. Was the 600 in there anywhere?

20 MS. EGAN: Yes.

21 MR. ROSENSTOCK: It was?

22 MS. EGAN: I am going to defer to Jennifer,
23 because she has used the research more recently than I
24 have.

25 MR. ROSENSTOCK: I am just trying to get a sense

1 of how that combination would work just for kind of
2 clarification.

3 MS. AMANN: Yes, all the label designs -- let me
4 make sure I am getting what you are saying, Steve. In
5 addition to the range of the most and least efficient,
6 of course, it would be turned around on an
7 efficiency-based label, like a categorical stars label,
8 so you would have the most energy on the left and the
9 least energy on the right, but every label design that
10 we tested and that we would advocate for includes the
11 specific kilowatt hour number for the model that is
12 being labeled. Is that what you were asking?

13 MR. ROSENSTOCK: Yeah, I was just asking what
14 information was going on there.

15 MS. DEMARTINO: Okay, David, you have got the
16 last word on refrigerators.

17 MR. CALABRESE: Okay, rather simple and
18 daunting. Well, my comments relate a little bit back to
19 our comments on the categorical label and the issue of
20 simplicity. We have heard from Energy Star that the
21 categorical label creates significant complexity
22 relating to bringing those two programs together. There
23 is complexity and cost to the FTC in figuring out the
24 categories. There is complexity in the fact the ranges
25 could be so small that, in fact, you could be creating

1 these break points that do not make sense.

2 Now, here is another example. Now we bring in
3 another layer of complexity. Now we are going to take
4 the refrigerator categories, we are going to merge them
5 all together, there is X number of categories, as
6 Hampton has pointed out, each category under the Federal
7 Rules have a unique formula, depending upon the average
8 volume of the product, sometimes a multiplier, we are
9 going to add that complexity to it, merge them all
10 together, then add another layer of ranges beneath the
11 stars, and after you have done all that and spent all
12 that money, I think consumers are still going to be
13 confused.

14 So, to me, this is just more and more
15 complexity, work and resources required to provide a
16 very minimal amount of additional information, and
17 frankly, as we have been pointing out, that box on the
18 lower left side, if you really want to compare between
19 categories, remember that number, walk two refrigerators
20 down, look at the top-mount and say, "Uh-huh, that one
21 is using 550 kilowatt hours per year and I just noticed
22 that the side-by-side uses 600." And there is the cost
23 amount there as well. So, you can write down on a piece
24 of paper. It is there. It is certainly, for someone
25 who wants to pay attention to it, to that person who has

1 efficiency at a higher ranking than the typical
2 consumer, it would be a very simple matter. I do not
3 think it really would be that much of a stretch to
4 expect them to be able to do that. Thank you.

5 MS. DEMARTINO: Okay, I know we are going to
6 have to move on, because I am already, as Hampton
7 reminds me, over time, and so if you have follow-up
8 comments on refrigerators, please submit them in
9 writing, and I would really encourage you to do that.

10 I want to throw out just one question from me
11 that I am not going to ask for a response here, but just
12 keep in the back of your mind. It is that I know that
13 consumers can use that \$654 and walk around to compare
14 between categories, but I know one of the draw-backs
15 that someone had mentioned of combining all the
16 categories for this continuous range is that, well,
17 consumers want to find out what is the most efficient
18 side-by-side, and they will have to walk around the
19 showroom.

20 Well, it gets back to the question of, do
21 consumers understand that the range that is provided
22 goes category by category? And if they do not, one,
23 what evidence do we have of that, and two, would
24 combining the ranges across subcategories improve that?
25 So, there are pros and cons, and just keep in the back

1 of your mind if you would like to submit additional
2 written comments.

3 Now, I am turning it back over to Hampton to
4 talk about heating and cooling equipment.

5 **SESSION 3: LABELING FOR HEATING AND COOLING EQUIPMENT**

6 MR. NEWSOME: Okay, so I guess we are going to
7 depart from the nuanced discussion on some of these
8 complicated issues we have been talking about, and we
9 are basically going to discuss whether or not whole
10 categories of products should be labeled at all, and
11 that is heating and cooling equipment, and I guess in
12 the comments from GAMA and ARI, they repeated a position
13 that they have expressed to FTC over the years, and that
14 is that the central air conditioning units and furnaces
15 and boilers, those types of products are not generally
16 sold in showrooms, so in their view, consumers are not
17 using the label and that, therefore, these products
18 should not be labeled.

19 I will not summarize their comments anymore, I
20 will let them provide more detail, but before we hop
21 into it, under the statute, there is a test, a
22 threshold, what have you, for whether the FTC can
23 require labels at least for the central air, heat pumps
24 and furnaces, and that is that no labeling will be
25 required if the FTC determines labeling is not

1 technically or economically feasible or that the labels
2 are not likely to assist consumers in making purchasing
3 decisions. So, that is the threshold or that is the
4 test that we are looking at here.

5 The question I have and I want people to address
6 as we are discussing this is if people do believe that
7 we should dispense with the labels on these products,
8 how is this information provided to consumers? What are
9 the other options? The comments mentioned online
10 resources, but also I would like us to discuss other
11 options such as providing fact sheets to contractors or
12 other things, other ideas that people may have.

13 The Canadian -- the Inter-Can, in their
14 comments, they mentioned their voluntary program they
15 have where they have these types of fact sheets that are
16 provided to contractors, and they work with consumers to
17 show the efficiency ratings of the various products.

18 So, let us start with Christopher.

19 MR. PAYNE: Thank you.

20 Three points I would make. One, I think it is
21 an open question as to whether or not consumers actually
22 use these labels, speaking from my own experience. A,
23 the label can offer a mechanism for confirming the
24 validity of a contractor or salesperson's claims.
25 Regularly, I have been told when shopping for appliances

1 myself, "They are all efficient." I walk in and I say,
2 "I want the efficient one." They say, "Well, they are
3 all efficient. Don't worry about it." The label is
4 very effective in me saying, "Well, how come it is over
5 here and there is a big range on this side that you do
6 not seem to be addressing?" So, there is that sort of
7 confirmation/validity argument that says that even if
8 they are not appearing in showrooms, they can still be
9 used in the purchase decision.

10 The second point I would make is one of sort of
11 information standardization. The fact that the FTC
12 mandates a label of a specific form makes it very easy
13 then to compare the information that is provided by
14 various manufacturers. If the labeling format were to
15 be removed and we were to say to manufacturers, "You
16 must tell people what the efficiency of this unit is,"
17 some manufacturers might provide that in one form,
18 others might provide it in a different form, and it
19 could potentially be somewhat confusing. So, having a
20 standard body of some kind establishing the framework by
21 which that information is presented can be useful to
22 consumers just in establishing a standard. FTC
23 obviously does not have to be the standard-making
24 mechanism. Ostensibly, manufacturers themselves could
25 do that, but it plays that role currently.

1 The third point I would make is one that there
2 will probably be a fair amount of argument as to whether
3 it is valid or not, but one thing that I have noted in
4 my experiences is that the presence of an Energy Guide
5 label on old equipment is often one of the only ways
6 that one can get a sense of how much energy a particular
7 piece of equipment is using, and so it informs the
8 decision of purchase in the future by providing the
9 energy consumption of the unit in question that was
10 purchased in the past. So, that is not necessarily a
11 point-of-sale piece of information, but it is a piece of
12 information that feeds into the purchase process. As I
13 said, often it is the sole mechanism for identifying at
14 least what the ostensible manufacturer efficiency of a
15 product is.

16 MR. NEWSOME: Okay, just one point of background
17 for your second point. If labels were not required,
18 there is still a requirement in one of the sections of
19 EPCA that any representation that is made about the
20 energy use of a product has to fairly reflect the DOE
21 test. Now, so, that would still be there, but there may
22 be -- it is a good question as to whether the existence
23 of the label itself kind of keeps some uniformity in
24 terms of the disclosures and how they are disclosed.

25 Okay, let us go to Joe.

1 MR. MATTINGLY: I guess you made the point
2 about, you know, confirming that what the contractor
3 told you is true. Well, of course, now, again, you call
4 a contractor, he comes and he assembles this thing in
5 your utility room or whatever, and you have signed a
6 contract by then even, and so if this label does not
7 confirm, well, of course, you might have a lawsuit, I
8 suppose, but again, your purchase decision has already
9 been made by that point. So, I just think that is a bit
10 of a stretch.

11 On uniformity, the FTC requires now that
12 manufacturers, before they put any product out in
13 commerce, are required to provide certain information.
14 Are you familiar with our certification programs?

15 MR. PAYNE: (Indicating yes.)

16 MR. MATTINGLY: Okay. We provide information on
17 behalf of the participants in our programs, this is just
18 for furnaces, boilers, everybody, and the FTC can tell
19 us what information that they require from
20 manufacturers, and we will provide it. We think that,
21 in fact, databases like we provide or that the FTC could
22 do themselves for these products are far more effective
23 and realistic than a label on a product that, again, you
24 do not see it until you actually have the product.

25 So, we are definitely not against providing

1 information to the consumers and even information that
2 allows comparisons, and we do that now. You can go on
3 the GAMA web site, and you can find out a ton of
4 information about all sorts of products, and if the FTC
5 does not think that is enough and wants to add to that,
6 well, let us hear it, you know, and I am sure we can
7 probably cooperate.

8 You had a third point, what was it, that --

9 MR. PAYNE: The fact that you can identify
10 historic consumption information --

11 MR. NEWSOME: Use the label to --

12 MR. PAYNE: -- the fact that you can identify
13 what a product was rated to --

14 MR. MATTINGLY: Well, just understand, the
15 lifetime of a furnace or boiler, it ranges anywhere
16 from, I don't know, 15 to 30 years depending on the
17 product. So, I am not sure that it is a useful
18 comparison to be making.

19 Again, there are better ways. There are much
20 better ways to find that information than labels, and
21 they are available, and that is what we ought to be
22 focusing on.

23 MS. DEMARTINO: And can I ask the question, I
24 know you are mentioning the directory on your web site,
25 do you know how many consumers actually visit that? Is

1 there a way for you to track actually sort of the
2 eyeballs that go to the directory?

3 MR. MATTINGLY: Oh, I do not know. I suppose
4 there is a way. Whether we actually do that now, I am
5 not sure.

6 MS. DEMARTINO: How would consumers find out
7 about the directory?

8 MR. MATTINGLY: Because the FTC would tell them,
9 the Federal Register would tell them, and we would tell
10 them, and utilities -- local utility companies could
11 tell them, and there is -- all these folks around the
12 table, ACEEEE would tell them.

13 MS. DEMARTINO: Okay. I think, Karim, you were
14 up next.

15 MR. AMRANE: Well, you have said most of what I
16 wanted to say. Again, we do have a directory to search
17 by product, where most of the information that the FTC
18 requires is already on the directory. You can find the
19 efficiency, you can find capacity, and so the
20 information is there, and so consumers, frankly, when
21 they buy air conditioners, they do not see a label at
22 all. It is not part of how the product is sold, and by
23 just looking at our directory, ARI directory, they will
24 have more information that they could make a decision
25 that way.

1 So, we feel that the label itself, again, I
2 mean, we are not against information, I think. I think
3 it is good for the consumers to know all about the
4 equipment he is buying, but right now, the label does
5 not do that at all. So, we feel that the directory that
6 we have, that GAMA has, for example, is a better way of
7 communicating with the consumer, and as far as, yes,
8 knowing about the directory, well, we gave you some
9 statistics in our comments of how many hits we have, and
10 then lately, because of the new 13-6 standard, the
11 number was multiplied by or two three, so we do get a
12 lot of hits.

13 MR. NEWSOME: Just to ask both Karim and Joe,
14 how are these purchases usually done? I mean, is this
15 over the phone? Is the contractor visiting the house?
16 I mean, how --

17 MR. AMRANE: It is on both the phones and the
18 contractor visiting the house. So, basically you will
19 have a contractor that will come, depending on the
20 contractor, might do a load analysis to see the type of
21 equipment you need, the size of the equipment you need
22 and so on, and then he will suggest to you some of the
23 products that you might be able to buy.

24 MR. NEWSOME: And a typical contractor, how many
25 different brands are they selling?

1 MR. AMRANE: It varies. There are some that
2 carry just one brand, but many carry several different
3 type of brands.

4 MR. NEWSOME: So, what is your thought on if the
5 manufacturers prepare, say, a one-page summary of their
6 listings that have Sears on them and the contractor will
7 have that available for consumers to --

8 MR. AMRANE: Yes, because the information is
9 already on the manufacturer's literature, so yes, the
10 contractor will have the information already available
11 in the literature that he is providing to the consumer.

12 MR. NEWSOME: And Joe, what about your --

13 MR. MATTINGLY: Again, we used to have fact
14 sheets, as I recall, and again, in this day and age, is
15 not a dealer on the internet? I mean, can't you figure
16 most businessmen are on the internet? For that matter,
17 an awful lot of individuals are on the internet, maybe
18 almost everybody. So, I would say that there ought to
19 be some way, rather than this paper stuff, that the
20 information is provided to the consumer via reference to
21 the internet or the dealer can go on the internet with
22 the customer or whatever.

23 It is just that electronically, we can provide
24 an awful lot of information, probably more information
25 than we can on a piece of paper. I am just trying to

1 think of the most modern way that people actually
2 operate.

3 MR. AMRANE: I want to add that today, for
4 example, if you go to the ARI directory and you are
5 looking for equipment, you can now print a certificate
6 of the equipment that you are buying that will tell you
7 the model number and the name of the manufacturer, the
8 efficiency, the capacity and so on, and we could add,
9 for example, additional information, I do not know,
10 operating cost or something like that. So, that is
11 already there.

12 And I think the certificate, I think it is a
13 great tool that we have just added to the directory that
14 will help a consumer in buying, to know what they are
15 buying, and the contractor, in the case of the
16 contractor, not give them false information, because now
17 they have the certificate, and they can compare what
18 they are buying with what the contractor is telling
19 them.

20 MR. NEWSOME: Just one more question for you two
21 and then we will move to Jennifer.

22 Do your members mark the products with the
23 energy information on the metal plates and --

24 MR. AMRANE: As far as the efficiency, I do not
25 think so. Yes, there is some information about the

1 capacity, things like that, but I do not think that as
2 far as the SEER rating, for example, I do not think that
3 that is required today by DOE, and I do not think that
4 has been done, no.

5 MR. MATTINGLY: Again, of course, obviously if
6 there is an FTC labeling requirement in place, they
7 better be complying with it.

8 MR. NEWSOME: Well, I am talking about not a
9 label. I am talking about --

10 MR. MATTINGLY: Yes, on the nameplate, for
11 residential products, I do not know, probably not, but
12 again, the FTC requires a manufacturer to provide
13 certain information to you before you go into commerce,
14 before they put the product into commerce, and we
15 provide that to you on their behalf, and since around
16 the room it seems like we are struggling for
17 justification for the label, where if the FTC really
18 wants to be relevant about this and really do an
19 effective job with this, its focus ought to be on the
20 modern, electronic means of communicating this
21 information for products like this where the purchasing
22 decision is made before you see the label.

23 Why struggle over a physical labeling when what
24 you ought to be struggling over is what are the best
25 ways to get the information to the consumer? Be

1 relevant, you know? Here we are having debates with
2 states over databases. It ought to be the Federal
3 Register doing that, either directly or by reference to
4 our own directories.

5 MR. NEWSOME: Okay.

6 Jennifer?

7 MS. AMANN: I just wanted to share some
8 information that we have received through limited
9 interviewing with some contractors that install the
10 labeled appliances, and I think some of our findings are
11 purely anecdotal based on one-on-one interviews but may
12 signal areas for further research or certainly we would
13 like to see any research that has been done.

14 The contractors that we spoke with, some do
15 actually use the label in their sales, they take it with
16 them to show consumers, or they do use it as a
17 verification once the product is installed, but many of
18 the contractors we talked to said that they would prefer
19 to have some sort of information sheet that had a
20 government seal of approval of some kind. I think that
21 could certainly be something that was developed by the
22 manufacturers working together, but that sort of said,
23 we also have to tell the Government this, so it is
24 something that you should believe because we might get
25 in trouble if we do it wrong.

1 They felt that there would be something very
2 beneficial to that, and if it was something that
3 included a way for them to incorporate local heating or
4 cooling information, whether that is the heating degree
5 days, cooling degree days, for instance, for their
6 region, something regionally appropriate also for energy
7 costs, that that would be very effective, and they would
8 be interested to see something like that, and I think
9 that might be an interesting avenue.

10 There is another use for the label which is not
11 so much in the initial purchase but in a way for later
12 purchase, and by that I mean for much of this installed
13 equipment, it is not only purchased by the initial
14 purchaser, but when somebody goes to then buy a house,
15 they are buying all the existing equipment that is in
16 that home, and I know for me personally, and I have
17 heard from other people, that it has been very helpful
18 for them to be able to look at the label to see what the
19 efficiency is of the products in the home that they are
20 purchasing.

21 They can then compare, if they are looking at
22 multiple properties, is this something I am going to
23 want to upgrade soon or has it recently been upgraded
24 with a more efficient product? And many times on older
25 equipment, it is very difficult to find the product

1 information on the nameplates or to then find efficiency
2 information for that product if it is something that was
3 installed some time ago. And I would say that the label
4 information is also used by energy raters and others in
5 the field to determine the efficiency of the equipment
6 that is used in a home. So, it has a longer shelf life
7 in some ways than just at the pure initial point of
8 purchase.

9 As far as the contractor issues go, I think we
10 would be interested to hear a little bit more on how the
11 label is or is not or could be used in a purchase
12 decision, and that might be what many of the appliance
13 manufacturers are doing or the appliance retailers,
14 actually putting the Energy Guide on their web site with
15 the product information, and certainly I think that
16 would be really beneficial for consumers. They know a
17 yellow label is a place to find that information, and if
18 they could, when they are shopping online, click on a
19 button to see the Energy Guide for that product, that
20 could be a useful tool for them.

21 MR. NEWSOME: Thank you.

22 Steve?

23 MR. ROSENSTOCK: Thank you.

24 Just a couple other items to consider, again, in
25 terms of the fact that using contractors, again, with

1 other consumers, they are not purchasing it, they are
2 buying a home, and the homeowner has already purchased
3 the heating or cooling equipment, and that is 1.5
4 million units a year, for example, out of the database
5 of, let's say 7 or 8 million per year that are out
6 there. So, in terms of some of this, one thing to
7 consider, especially for new homes, the end consumer
8 has -- it would not matter how big the label is, it does
9 not matter if somebody else has already purchased it for
10 that consumer when you get right down to it. It is a
11 third-party purchase when you get right down to it.

12 Also, another issue for a lot of utilities has
13 had a lot of rebate programs for high-efficiency
14 equipment. I do not think most of them have used the
15 labels. I think they basically require the contractor
16 or the end user consumer to give them the model number
17 and the serial number, and then they can go to the GAMA
18 or ARI directory to confirm that that was a
19 high-efficiency unit, that it qualified for the utility
20 rebate.

21 And now, with the federal tax credits out there,
22 again, there is another impetus for the manufacturers to
23 have systems in place to make it easier for the consumer
24 to claim the federal tax credit as well. So, as long as
25 those systems are being developed by the manufacturers

1 and by contractors, such that they are totally separate
2 from the label, but they are very important information
3 that shows the consumer that they are getting an
4 energy-efficient product. So, I would have to say in
5 terms of energy labels, since they are not seeing the
6 physical product, they are basically going on fact
7 sheets or cut sheets from a contractor, and again,
8 another research item would be, okay, how many of you
9 have actually installed an air conditioner on your own?
10 What percentage of that is -- they are the only ones who
11 would be able to see the label before they buy the
12 product.

13 If that number from the research shows that it
14 is well under 10 percent or 5 percent or 2 percent, as I
15 would guess, because I sure would not want to put a heat
16 pump in myself, that is for sure, then these alternative
17 methods of contractor web sites, Federal Register
18 databases, again, might be the way to go in terms of,
19 okay, you are getting rid of the label, but you are
20 providing these better alternatives for consumers. That
21 might be one way to describe it.

22 Thank you.

23 MR. NEWSOME: Thanks, Steve.

24 Christine?

25 MS. EGAN: Just a brief point that I guess if I

1 were in your shoes, the question I would be asking is,
2 by not labeling, are we taking information out of the
3 marketplace? I mean, you would not want to lose
4 information that is currently available as a result of
5 this. So, that would be my threshold sort of test or
6 question.

7 But as a follow-on point, one thing I would say
8 is that FTC does have a different credibility vis-a-vis
9 providing consumers information than does GAMA or ARI,
10 and so that FTC seal, that FTC endorsement, has value I
11 think, the fact that it is an FTC energy label, but I
12 think the manufacturers on their own, they do not have
13 that government position. So, that is just one other
14 point.

15 I want to emphasize the home ownership issue.
16 You are not a government agency, so --

17 MR. MATTINGLY: I will tell you why, give you a
18 good answer to that one, a real good answer.

19 MS. EGAN: I am sure.

20 So, the other question, I do want to emphasize
21 this issue that Jennifer raises of home ownership,
22 because the only actually piece of this that I think is
23 valuable with the label being affixed to the product as
24 opposed to the equivalent of an Energy Guide label
25 online is that when you buy a house, it is actually the

1 only vehicle that you can get information easily. You
2 could dig if you were really motivated, and granted, I
3 am an unusual consumer, but every house we just looked
4 at -- and I looked at 25 before I bought the 26th --
5 that is one of the things that we looked at. So, I know
6 that the real estate agent was not surprised by that
7 behavior. So, it is plain, usual information, and maybe
8 it was not the original legislative intent, but if the
9 standard is taking information away, I do not know how
10 you guys factor that into your legislative mandate, but
11 that would be lost if it was not affixed to the product.

12 MR. NEWSOME: Bernard?

13 MR. DEITRICK: A number of the points that I
14 wanted to make have been raised very well, but I was
15 going to ask the question, why would you not want to
16 have this permanently affixed to something that is going
17 to change hands? I know that people raise that space
18 heating and cooling is their number one energy
19 consumption, and it is a big thing, may be driving for
20 some people, but it is hugely expensive, and after
21 spending \$3 a gallon for oil this past winter, I
22 realized how much it cost to heat my house, and I do not
23 have an easy way to tell what the efficiency of my
24 furnace is and whether going out and buying something
25 new would allow me to save a lot of money or increase

1 the efficiency of my home central heating.

2 So, I think the question should be, should we
3 make it so that the Energy Guide, which is really a
4 brand when you think about it, people look for that
5 Energy Guide sticker on all their appliances, whether it
6 should be permanently affixed to the side of any space
7 heating or cooling equipment in a place that homeowners
8 can get to easily in the future.

9 MR. NEWSOME: Joe, are you going to explain how
10 we can figure out the rating of our furnaces?

11 MR. MATTINGLY: No. I would like to comment on
12 the credibility issue. Again, the FTC requires
13 manufacturers to provide this information anyway, so
14 they are providing it, and in trying to implement that
15 as effectively as possible and to satisfy market
16 requirements, we have the certification programs, and
17 how many products has the FTC actually tested in the
18 last year? Let us say furnaces.

19 MR. NEWSOME: We do not have testing facilities.

20 MR. MATTINGLY: Well, we have tested over 400 a
21 year, and we do that year after year, so like I say,
22 credibility-wise, we are really strong believers not
23 only in providing information, efficient information, to
24 the consumer for these products, but for making certain
25 that the information is accurate. We do not take the

1 manufacturer's word for it. We test. I just wanted to
2 make sure that was clear.

3 Again, putting a label on a product, is it the
4 end of the world economically or technically? Heck no,
5 but we are here to try to honestly say, what is the best
6 way to get information out there? And we really think
7 that the FTC, if they want to be relevant in this area,
8 ought to be focusing on a federal database, and again,
9 we have done all your work for you.

10 MS. DEMARTINO: Can I ask a question?

11 So, you are saying focus on a federal database.
12 How does that compare to fact sheets that would be made
13 available to consumers at the point of purchase, which
14 may be while they are sitting down with a contractor?

15 MR. MATTINGLY: No, as I recall the history of
16 regulation here, we used to have a fact sheet
17 requirement, and then it was morphed into a requirement
18 that in lieu of fact sheets, if you would provide an
19 industry directory to the consumer, and that is what we
20 do. I would say that if the dealer is able to do that
21 electronically as opposed to a paper copy, that should
22 be allowed.

23 MS. DEMARTINO: So, are you saying the dealer --
24 meaning providing that information to the consumer, to
25 the ultimate consumer?

1 MR. MATTINGLY: Yeah.

2 MR. NEWSOME: And we still have those
3 requirements. Since most of the manufacturers are
4 members of associations, they use the directory
5 approach, but here, we are looking at a question of
6 something is changing, and that is the question of
7 whether the label goes on the product or not, and if the
8 label is intended to provide consumers with information
9 when they are purchasing the product, and if that is not
10 happening, is there a better way to do it?

11 The directories are not -- I would guess the
12 contractor does not necessarily have the directory to
13 put through with the consumer on --

14 MR. MATTINGLY: Oh, sure he does.

15 MR. NEWSOME: And that may be something that is
16 being done now, I do not know, but the other option
17 would be to have a one-pager that does have kind of the
18 information that the label has, which this is based on
19 U.S. Government tests and that kind of thing.

20 MR. MATTINGLY: I will say, we have noticed in
21 gas furnace shipments especially, that since we keep a
22 lot of statistics on those, that the market penetration
23 of the highest efficiency product is really up there
24 nationally, but especially in northern climate states.
25 So, something is working pretty well. I suspect it is

1 market forces, energy prices and probably Energy Star,
2 but again, a physical sheet of paper to me is like going
3 back to the history that we decided we could do better
4 than; namely, here is a directory, I can show you your
5 product and a whole bunch of others, take your pick.

6 MS. DEMARTINO: But does that mean that
7 consumers have to ask for that information?

8 MR. MATTINGLY: Well, right now, of course, the
9 FTC regulations say that manufacturers must provide a
10 fact sheet, or in lieu of a fact sheet, this directory,
11 okay? And it used to be -- I believe that the fact
12 sheet took the place of the label for years, and then
13 some years ago you went back to the label, to the
14 traditional label, whereas the old label used to say,
15 "Just refer the consumer to a fact sheet." Again, I
16 think that was not a progressive move.

17 MS. DEMARTINO: Right, no, I was just asking the
18 background question, part of my own interest in figuring
19 out how this actually happens, but I know there are a
20 few other people who want to comment, so we will go to
21 Christopher.

22 MR. PAYNE: Two quick points I would make.

23 One, it seems as though we have set up a false
24 dichotomy here. We do not have to make the choice of
25 you either label or you create a database. Of course,

1 you can do both. There is no reason you could not.

2 The other point I would make is that in
3 interviews I have done with consumers, certainly I, as a
4 researcher, definitely recognize the data quality of the
5 GAMA and the ARI directories, and I would not want them
6 to go away, but as an interviewer of consumers, there is
7 no doubt that the Energy Guide label has a specific
8 brand recognition as a government-sponsored program,
9 that any information provided by a manufacturer or trade
10 organization will not have. That is just the response
11 we have had over and over again from consumers. If it
12 is from the Government, they can trust the information.
13 If it is from a trade organization or a manufacturer,
14 there is always a slight question there.

15 MR. NEWSOME: Okay. We have a few more
16 comments, but as people are thinking about this, if you
17 are thinking about submitting written comments on this,
18 I urge you to look at the databases that are there. We
19 have our database for a lot of the products. On our web
20 site, we currently link to GAMA and ARI, because they
21 updated more than our annual submission requirements,
22 but just look at the online information in light of what
23 consumers would be looking for when they are purchasing
24 the product, and hopefully that will inform your
25 thoughts as you are sending in comments to us.

1 Before we move on, we have got Christine and
2 then Steve, but I wanted to ask a question that
3 hopefully we can get to before we end here in a couple
4 minutes for the break, and that is, what percentage of
5 these labeled products are now being sold through the
6 internet? And this is a question for the AHAM type
7 products, too, but before we answer that, why don't we
8 go to -- oh, I knocked 15 minutes off our -- oh, we have
9 much more time, so let us go to Christine and then Steve
10 and then we will go to Joe.

11 MS. EGAN: Just very briefly, I think that as I
12 am listening to everyone, it seems like one of your
13 research tasks perhaps should be research with the
14 contractors, with the people who actually are face to
15 face with the sale and do the sale every day and get
16 information from them on what would be the most useful
17 tool for informing consumers on energy consumption and
18 improving energy efficiency in the sale of this product.

19 I think ACEEE has done a little bit of research.
20 It is actually the only research I am aware of with
21 contractors on this issue, but I think that is probably
22 where the answer best resides.

23 MR. NEWSOME: Okay, and Steve?

24 MR. ROSENSTOCK: Just a couple quick points.

25 Again, if you are doing some research, like the

1 Air Conditioning Contractors of America, there are
2 associations out there that deal with -- National
3 Electrical Contractors, but there are associations out
4 there you might be able to get some data points from in
5 terms of your research. That is number one.

6 Number two, you said something, which is why I
7 raised the tent card, which is does the label help the
8 consumer when they are purchasing a product? I believe
9 that was the question, I was trying to paraphrase it, or
10 the effectiveness of the label when the consumer is
11 purchasing the product.

12 MR. NEWSOME: Well, the statute says "assists
13 consumers in making purchasing decisions." If the label
14 is not likely to do that, then the statute gives the FTC
15 discretion not to require it.

16 MR. ROSENSTOCK: I mean, in this case, again, it
17 will all depend on the research, but in this case, since
18 the consumer does not have access to the label until
19 they have actually bought the product, until the product
20 has actually been installed at their house, I would have
21 to say in this case, for these particular products, the
22 answer is no, just because of the purchasing process,
23 that there is absolutely no way for the end use consumer
24 to see the label.

25 Now, the only exception is for the new home

1 market, where the contractor or the home builder is
2 putting in the equipment, they are seeing it, they are
3 actually purchasing it, they are installing it. So, in
4 that case, the label might help them in those
5 situations, but in terms of I will say end use retail
6 consumers for these products, I would say that in the
7 vast or overwhelming majority of cases, no, because they
8 do not see the product, they do not get to see the label
9 when they purchase a product.

10 MR. NEWSOME: Okay, thanks, Steve.

11 All right, why don't we go to Jill.

12 MS. NOTINI: Thanks. After I make this comment,
13 I am going to leave.

14 Actually, the study we conducted in November of
15 '05 gets at place of purchase and includes a breakdown
16 between builder versus retailer channel and then
17 internet purchases, and then there is also another sort
18 of breakdown that shows if consumers purchased it at
19 retail, did they purchase it like through an online
20 retail site or did they just use that to research prior
21 to a store purchase. So, I think we will include that
22 data and all the backup or whatever you need to see in
23 our comments.

24 I do not know the numbers off the top of my
25 head. I mean, certainly it is only a very, very small

1 percentage that actually buy through internet for real
2 major home appliances, excluding, like, microwave ovens
3 and home comfort products, like dehumidifiers and room
4 air conditioners, but for the vast majority of products,
5 they are still purchased at retail.

6 Okay, thank you very much.

7 MR. NEWSOME: Thank you.

8 Okay, let us go over to Karim.

9 MR. AMRANE: Just a quick comment about the
10 credibility of the data. I mean, FTC is using our data,
11 so the data that FTC is using is coming from ARI. The
12 utilities are using the ARI directory for their rebates
13 programs. CE is using our directory for their rebates
14 program and so on, so I do not think as far as
15 credibility that that is an issue here.

16 As far as the label, I mean, I think we all
17 recognize that the label is not useful in this
18 particular case because the consumers do not see it.
19 Maybe they could see the label in a directory, and I do
20 not know, but maybe we could come up with a system where
21 consumers would go on the GAMA or the ARI directory,
22 they could click on the product and see the label there
23 instead of having it on the equipment that nobody sees
24 anyway. So, I think that is the kind of thing that we
25 need to explore. Maybe that is the way of the future,

1 would be for consumers to search equipment like this to
2 buy by looking at directories online and then be able to
3 compare products that way.

4 MR. NEWSOME: Thanks.

5 Okay, Joe.

6 MR. MATTINGLY: Yes, I was just thinking, you
7 know, there is a little bit of legal reasoning here,
8 too. I think the labeling is supposed to be proscribed
9 by the FTC if it will assist the consumer in its
10 purchasing decision of the product that it ends up
11 purchasing. In other words, I do not think it is
12 supposed to assist the consumer in purchasing a home or
13 in purchasing some future product 18 years from now. It
14 is supposed to assist the consumer in making its
15 purchase decision of the product he is purchasing. So,
16 these other arguments I do not think fall within the
17 legal parameters of what you are supposed to be doing
18 there.

19 Another thing I always like to say, our products
20 are not sexy. They are not. You rely on them every
21 day, they do wonderful things for you, but what else
22 other than efficiency is there to like about the
23 product? So, I think certainly contractors want to sell
24 a more efficient product, it is in their own economic
25 interests to do that, but also, it is not like there is

1 something else there, some sexy features that are
2 competing with energy efficiency.

3 MR. ROSENSTOCK: Aren't they coming with tail
4 fins or different colors now?

5 MR. MATTINGLY: I just always want to make that
6 point, you know?

7 MR. NEWSOME: One thing I neglected to raise,
8 and that is the issue of water heaters, since when you
9 go into a big retail store, water heaters are there in
10 kind of a showroom environment, so do you see those as
11 different than your other products?

12 MR. MATTINGLY: I think I would have to admit
13 they are somewhat different. If I go to Lowe's, I see
14 some water heaters there. Usually I see just one brand,
15 okay, maybe two models of one brand. So, it is not
16 really a showroom in most cases. And I wonder at
17 Lowe's, you know, how many of those water heaters are
18 sold to those guys who show up before 7:00 in the
19 morning, the contractors who put them in? It would be
20 interesting to try to find that out.

21 But I have to admit, some people buy water
22 heaters from retail. I suspect it is percentage-wise
23 still a large minority, but I do not have the
24 statistics.

25 MR. NEWSOME: Okay.

1 Christine?

2 MS. EGAN: I just want to make a clarifying
3 point, just to be clear, that I was not questioning the
4 credibility of the GAMA or the ARI data. I have used
5 the data in a thousand research projects for a lot of
6 years. So, there is no question on the credibility.
7 You cannot disagree, however, that the FTC Energy Guide
8 logo has a different brand recognition and a different
9 association in consumers' minds than does an industry
10 trade association. That was my only point, and I will
11 move forward.

12 MR. MATTINGLY: And I would like to add that 21
13 years ago, I completed ten years of service at the FTC,
14 and good on 'em.

15 MR. NEWSOME: All right, thanks, Joe.

16 MS. EGAN: But just one follow-on point, which
17 is I agree with Joe that the legislation says it should
18 influence the purchase decision of this piece of
19 equipment. I like that the information is there for
20 other purposes as an energy efficiency advocate, and I
21 would hate to see it go away, but if we are just
22 addressing that mandate, my question is, I ask my
23 contractor, what is the Energy Guide kilowatt hours?
24 And the only way I have easily to get a verification is
25 that if it is not the number that he told me it was,

1 then I know that there is a glitch.

2 So, I just think that the question really is,
3 how many people do that? Are people asking, what is the
4 Energy Guide label number? I ask. I do not know how
5 representative I am. I have not researched this
6 question, but it was a part of my purchase decision.
7 So, I am at least a crowd of one. So, I think that is a
8 question for you, is how many people ask that of their
9 contractors, and if they did not have this label, how
10 confident would they be in validating the contractor's
11 claims?

12 No dismay about contractors, but they are not
13 all as seemingly trustworthy as you would like them to
14 be sometimes. So, it is a way to sort of keep their
15 feet to the fire in terms of honesty of what they are
16 selling you.

17 MR. NEWSOME: Okay, thanks.

18 All right, Jennifer.

19 MS. AMANN: Yes, Christine hit on a couple of
20 the points I wanted to make. I think that there is a
21 certain skepticism on the part of most American
22 consumers, and for many, it is not just on the part of
23 information they are getting from the manufacturers. I
24 think there is a healthy dose of skepticism about
25 information from the Government as well, but any time

1 that you can verify the two and they seem to match, that
2 is probably a good benefit.

3 Then as far as the discussion about provision of
4 whether it is a copy of the label itself or a fact sheet
5 at the time of purchase and the issue of a piece of
6 paper changing hands at that point rather than having
7 something electronic, I think most contractors, at least
8 any contractor I have ever dealt with, has handed me a
9 packet of product literature for the product they are
10 trying to sell me. So, having additional paperwork
11 there, whether it is a fact sheet about the energy use
12 of that product or an actual copy of the Energy Guide
13 label for that product, I think is certainly reasonable.
14 It is not introducing paper where there is not anything
15 there. You are also getting a quote in writing and that
16 kind of thing. So, I think it is certainly a reasonable
17 addition to that packet of information.

18 MR. NEWSOME: Okay, then David.

19 MR. KLINE: I would like to address the dynamic
20 of the purchase decision process. These typically in
21 heating and cooling are large, hopefully one-time in our
22 lifetime, purchases. I just two years ago went through
23 a major renovation in my house. It is a pre-war home
24 that needed a new air conditioning system, a central
25 system. We took three bids from three independent

1 contractors. Part of why is your bid \$12,000 and your
2 bid \$11,000 and your bid \$9,000 -- and these are the
3 three numbers that I received for this particular
4 project -- were the equipment included in those bids.
5 One was a 13 SEER rating, one was an 11 and one was a 9.
6 Now, yes, it was --

7 MR. ROSENSTOCK: Huh-oh.

8 MR. KLINE: -- and that is why it was \$9,000,
9 apparently a close-out from a previous small
10 manufacturer from an independent installer/contractor
11 who had bought a close-out of these less than ideally
12 efficient products, okay?

13 I scratched that one immediately off my list,
14 but there is a three-stage process in a consumer's
15 evaluation. First, can you tell the difference? Now, I
16 spent time three and a half years on the retail floor at
17 a high-end consumer electronics retailer in New York
18 City, so this is from the real world, from the trenches.
19 There is a three-step consumer evaluation process.

20 One, can you tell the difference? Higher,
21 lower, more efficient, less efficient? If you can make
22 that decision, yes, fine, you can go on to the second
23 step. If there is no difference between these two
24 products, you will go to another cost-based typically
25 decision tree.

1 The second step, if you see or perceive a
2 difference, one is better/worse than the other, do you
3 like that difference, is the second step. So, do you
4 see it, do you like it.

5 And the third step, assuming you like that
6 difference, it is more efficient, will cost you less
7 money during the course of your ownership, 30 years in
8 terms of a home heating system, is it worth the money?
9 If you are saving \$54 versus \$56 per year and it is a
10 20-year life span product, guaranteed water heater 20
11 years life span, and it is \$50 more to buy the more
12 efficient products, you are only saving \$40 over the
13 course of that 20-year life span. If that product costs
14 you \$50 more initially, given the cost of money over
15 time and all that, that is not a good decision for you
16 to make on a purely financial basis. So, those are the
17 three steps of a retail transaction. Do you see it? Do
18 you like it? Is it worth it?

19 Where is that dynamic in the large heating/air
20 conditioning? It is in the customer's living room with
21 a cut sheet from that builder or contractor saying,
22 "Here is choice A at \$13,000 for a 13 SEER, and here is
23 a \$12,000 system with an 11 SEER." You pays your money
24 and you makes your choice, but that decision is not in a
25 showroom where you have labels to look at, as in a Best

1 Buy or a White Goods Store, where you are seeing
2 refrigerators next to each other.

3 You can tell your eight-year-old child, "Find me
4 the lowest number of dollars per year, and you will get
5 a Coke at the end of the day," okay? Children are very
6 effective shoppers if you give them numbers, but the
7 large venue products -- and I will use heating and air
8 conditioning as examples -- are not sold primarily that
9 way. It is a one-on-one with a contractor in a person's
10 living room with no sheets other than the salesman's
11 book where he says, "Here is A, like that? Here is B,
12 like that? That is \$2,000 more." And I think that is
13 the dynamic that you should be addressing in giving the
14 consumer or the dealer or the contractor the tools to
15 say, "Here is my efficient system, and here is my less
16 than efficient but less expensive system."

17 So, to give that contractor the mandate that
18 they provide that or allow the consumer to get the
19 information to make that three-step purchase process is
20 the real key here, and I personally ran into problems --
21 and this is just an anecdotal, you know, qualitative of
22 one, but I think it is not an untypical situation,
23 certainly the dynamic of a buying experience --

24 MS. DEMARTINO: I know we have a few other
25 things to address. I am going to turn this back to

1 Hampton.

2 MR. NEWSOME: Okay, just -- and sorry to cut you
3 off --

4 MR. KLINE: That is okay, sure.

5 MR. NEWSOME: -- but one more question we wanted
6 to address, because we have got about five minutes for
7 the session, and it was mentioned earlier, the issue of
8 storage water heaters and instantaneous water heaters
9 and whether the current labels should address them in
10 any different way, whether it is combining the ranges or
11 treating them as a product group, and I know, Joe, that
12 your members include both of those areas, and so I just
13 wanted to see if anyone had any thoughts on that.

14 Joe?

15 MR. MATTINGLY: Well, yes, we do represent both
16 instantaneous water heater manufacturers and storage
17 water heater manufacturers, and sometimes they are the
18 same people. We know that instantaneous water heaters,
19 I guess the critical number is gallons per minute, and
20 then for storage water heaters, it is first hour rating,
21 how much hot water they produce in an hour.

22 Instantaneous water heaters in this country at
23 least are kind of a relatively new thing. I know there
24 are tax incentives out there now that seem to be giving
25 them some advantage. I think that it is a case where

1 you better take a look at whether they are really
2 interchangeable products or not. You know, for a large
3 home with an assortment of hot water needs, does an
4 instantaneous water heater satisfy that situation or is
5 an instantaneous water heater more apropos of a condo or
6 something for a retirement couple?

7 So, it may very well be that they are not --
8 they each have sort of their own very valid purposes,
9 and one might be right for you and something different
10 for me, but, you know, preliminarily, I would say that
11 you should not lump them together.

12 MR. NEWSOME: Okay. And anyone else?
13 Christopher?

14 MR. PAYNE: I would tend to agree. I think that
15 work done at Lawrence Berkeley National Lab on these
16 various technologies suggests that the proper
17 configuration and installation of those various products
18 has a strong impact on the overall energy consumption of
19 the system. So, unlike a case we discussed earlier of
20 refrigerators where a side-by-side, a top-mount and a
21 bottom-mount are more or less the same thing in
22 operation in terms of keeping the food in them cold, in
23 the case of an instantaneous water heater versus a
24 storage water heater, it is very much dependent on
25 whether or not that person has three Jacuzzi baths off

1 their bathroom suites and wants to be able to deliver 80
2 gallons of hot water when they fill that tub, for
3 example, and if they do that with a storage water
4 heater, they incur enormous storage losses in the piping
5 of the home, whereas if they do it with an instantaneous
6 heater, there are first cost issues and blah-blah-blah,
7 my point being it is a more complex technical system, I
8 think, than the appliance we discussed earlier, and for
9 that reason, I would recommend that we keep them
10 separate.

11 MR. NEWSOME: Okay. Jennifer, did you have a
12 comment there?

13 MS. AMANN: Yes, I would agree. I think it is
14 an area that is much more complex, and I know I am the
15 one that opened this up by saying it earlier, and I
16 think what might be a more accurate or more reasonable
17 comparison would be an electric storage water heater and
18 a conventional storage water heater and a heat pump
19 water heater, for instance, where you have much more of
20 the same performance style, performance issues in the
21 field. It is a pretty transparent difference to the
22 consumer.

23 I mean, there is not much difference to them in
24 their amenity or how they use either of these products.
25 It is a tank storage water in their, you know, basement,

1 attic, utility area, whatever it is, and they both use
2 electricity. So, that might be a more apt area where we
3 would want to combine the two and less technically
4 fraught with complications.

5 MR. NEWSOME: Joe?

6 MR. MATTINGLY: A little response on that?

7 First of all, try and find a heat pump water
8 heater right now. You do not have to worry about the
9 range of the comparability changing any time soon.

10 MR. NEWSOME: I do not believe that we had
11 anything on those.

12 MR. MATTINGLY: The other thing, there are some
13 complications, because a heat pump water heater takes
14 heated air out of the heated space, and when you go to
15 compute energy costs, et cetera, you have got to replace
16 that heat in the space. A technical issue.

17 MR. NEWSOME: Okay. Well, what we are going to
18 do, we have one more session, and that is televisions,
19 and not everybody -- oh, I am sorry, Steve, did you --

20 MR. ROSENSTOCK: (Indicating no.)

21 MR. NEWSOME: -- and not everybody may stick
22 around for that, but I just wanted to know if there are
23 additional issues people want to address after
24 television so that people who are thinking about their
25 schedules this afternoon will know. Is there anything

1 that anybody feels like we have not covered that they
2 really want to talk about after we talk about TVs?

3 **(No response.)**

4 MR. NEWSOME: Okay. Well, let us take a
5 15-minute break, back here at 3:00.

6 MS. DEMARTINO: And we have hot coffee outside,
7 so you will get your caffeine and sugar.

8 **(A brief recess was taken.)**

9 **SESSION 4: TELEVISION LABELING**

10 MR. KOHM: Okay, folks, we are going to get
11 started. We are trying to be as good as our word today
12 and start and end each session on time, so if nothing
13 else, you can say that they did what they said they were
14 going to do.

15 I know this is a long slaw to go through a day
16 like this, and I abandoned you for the middle part of
17 the day, but hopefully we can keep up the energy from
18 the morning for just a little bit longer, because the
19 comments that you have made today have been incredibly
20 useful and sparked a lot of thought, and hopefully they
21 will be in this area as well, and David has been waiting
22 patiently all day. I am sure he will sit by passively
23 as we talk about televisions.

24 Okay, what I want to do is, not surprisingly,
25 set some more ground rules for this discussion since I

1 am a lawyer who is big on rules. I am going to ask some
2 questions, and the last question, which I absolutely
3 promise I will get to, is the label a good idea, and I
4 know there are those who think it is not, but the
5 assumption for the first few questions is going to be it
6 is. That is not because we think it is.

7 It is just because that is the way to get the
8 information out, and I promise those of you who want to
9 tell us why it is not a good idea, that we are going to
10 get to that, and we have made no predetermination about
11 that, about that issue. It is just structured so we can
12 get the information on the table.

13 So, the first question I would like to ask, in
14 1979, the Commission found that televisions use very
15 little energy. I think what we said was they used about
16 as much energy as a light bulb, and that the range of
17 energy use on TVs was so narrow that labeling would not
18 be of any use. So, the first question on the table is
19 do TVs now use sufficient amounts of energy and is the
20 range sufficiently broad that a label would provide some
21 benefit to consumers?

22 Bernard?

23 MR. DEITRICK: I guess that is me.

24 I do not normally test electronics, I just want
25 to make that clear, and that I am offering you

1 secondhand data from the program leader who is
2 responsible for actually testing televisions at
3 Consumers Union, Rich Suland (ph.). I spoke with him
4 yesterday with just that in mind, asking if there was
5 enough variability in power consumption of TVs to
6 warrant labeling TVs, and here is the data that he gave
7 me on our most recently tested plasma TVs.

8 For 42-inch plasma TVs, the average wattage draw
9 was 334, the minimum was 201, and the maximum was 520.
10 So, that is a range of 250 percent difference. For the
11 standby usage for those same 42-inch plasma TVs, the
12 average was 5.9 watts, the minimum was 4/100ths of a
13 watt, and the maximum was 41 watts. So, clearly there
14 is a wide range of wattage draws both during usage and
15 in standby modes.

16 The one number that he could not give me
17 reliably was how many hours a week a TV is used. He
18 thought it was six a day, but it might be as high as
19 eight a day, and if either of those numbers is true,
20 these large TVs could be one of the largest users of
21 electricity in the household. So, clearly there is
22 differences, and if a consumer is choosing between sets
23 based on picture quality, they can very easily add to
24 their decision-making tree how much energy it is going
25 to use.

1 So, adding the label to a TV that says how much
2 it uses in standby, how much it uses in active mode, and
3 an estimated annual usage based on the statistically
4 valid usage of a TV in the American households would be
5 a very easily, readily understandable number.

6 MR. KOHM: Anybody else have thoughts?

7 MR. JOHNSON: Yes, Doug Johnson with CEA.

8 Those numbers are relatively meaningless in the
9 absence of any acceptable way of measuring the energy
10 consumption of today's televisions. One of the
11 questions that the Commission has asked is whether there
12 exists or whether the DOE standard is appropriate, and
13 it is not. The standards that are out there for
14 television energy use measurement are outdated, both by
15 technology -- I think the one that is out there right
16 now relates to CRTs that are black and white, and we
17 have come a long way since then.

18 So, a standard way of measuring the energy use
19 of a product is a necessary first step before any
20 consumer information or labeling program can be
21 promoted, including Energy Star. It is an underlying
22 concept. It is something that needs to be done.

23 The good news is that industry has already
24 undertaken creation of a new standard for measuring the
25 energy use of digital televisions. This is being

1 conducted at the international level under the auspices
2 of the IEC, International Electrotechnical Commission.
3 It is underway. I believe there will be a draft out
4 later this year, although for a specific update on that,
5 I would refer you to our written comments that we will
6 submit for the record.

7 But the point is that there is an international
8 effort underway with broad participation by stakeholders
9 with an interest in TV energy use, and before anything
10 can be done, including measuring what is out in the
11 marketplace, we need a standard way of measuring.

12 MR. KOHM: That is an important point that
13 actually addresses my next question. Before we move on,
14 is there anybody else who wants to address directly
15 whether TVs use sufficient energy or there is a
16 sufficient range of energy used to justify a label?

17 MR. HOROWITZ: Yes, this is Noah Horowitz from
18 NRDC. Is this the appropriate time?

19 MR. KOHM: This is. Go ahead.

20 MR. HOROWITZ: Good morning or afternoon,
21 everyone, Noah Horowitz from the National Resources
22 Defense Council.

23 I want to echo the comments from the prior
24 speaker that TVs today, their power use does matter.
25 Many of the large-screen TVs on the market today could

1 draw as much annual electricity as a new refrigerator.
2 So, we are looking, order of magnitude, around 500
3 kilowatt hours per year for some of the larger models.
4 So, it is big enough and it does warrant getting the
5 information out.

6 Towards the second question, is there a spread,
7 we did a study over a year ago measuring in the field
8 various models of all different technologies, and for
9 TVs of a similar size, we found quite a wide spread as
10 well, sometimes more than a factor of two. So, since it
11 is a large power user and there is a spread between
12 models, we think a label is very much justified.

13 MR. KOHM: Anybody else before we move on to
14 test procedures?

15 MR. JOHNSON: This is Doug Johnson again. I
16 would like to reference the energy consumption of 19 to
17 20-inch analog televisions, for example, which decreased
18 from 450 watts in the 1960s to less than 100 watts in
19 the mid-nineties, and during that same period, there
20 were major improvements in product reliability, screen
21 brightness, product performance, phosphor efficiency
22 increased during this time as well, so we are in the
23 early days, I have to emphasize, to a transition to a
24 vastly different product, which is digital television,
25 and the trend both in this category and in other

1 categories in this industry is inevitably downward when
2 it comes to energy use.

3 The strong driver for energy efficiency in our
4 industry is technological innovation, but added to that,
5 of course, are very successful programs like Energy
6 Star, which highlight and encourage additional energy
7 efficiency for electronics.

8 MR. KOHM: Just before we move to Rebecca, when
9 you say the downward trend is toward less energy use,
10 that is within a product category? Because it seems
11 like, given the other comments, that these new kinds of
12 TVs, digital TVs, plasma TVs, use more energy than the
13 old ones. Is that incorrect?

14 MR. JOHNSON: I would think that is correct, but
15 you are comparing vastly different technologies. You
16 are comparing products that do more for the consumer in
17 different ways than they ever did before. I referenced
18 the history of analog television power consumption just
19 as an example of something that started out up here
20 (indicating) but ended up down here (indicating).

21 MR. KOHM: Thank you.

22 Rebecca?

23 MS. FOSTER: Sure. I think I would like to
24 start out by encouraging the FTC to continue to monitor
25 the test procedure development. The CEE appliance

1 committee has talked about the question of covering TVs,
2 and it is of interest. We would encourage you all to
3 consider that actively, but obviously we recognize that
4 the test procedure is a necessary first step.

5 As a broader issue, I just want to refer to some
6 comments that we made previously, which is that really
7 it is the agreed-upon consensus of the CEE committee
8 that the scope of the energy label should cover those
9 products that are the largest energy users within a
10 home, those products whose energy has increased
11 significantly over recent years or for which there has
12 been a significant technical advancement, and I think
13 televisions fall into a few of those differing
14 categories, and we would encourage, aside from just
15 considering televisions, the Commission to develop a
16 process to look at additional technologies or product
17 categories that may be going through similar changes so
18 that the label can stay relevant over time.

19 MR. KOHM: Thank you.

20 Steve?

21 MR. ROSENSTOCK: Hi, Steve Rosenstock.

22 Just another thing to consider is also, in
23 certain categories, especially I believe it is under 40
24 inches, there is a huge market battle between plasma and
25 LCD TVs, and especially if you compare LCD TVs or LCD

1 computer screens to CRTs, the energy efficiency has
2 really been quite amazing. So, I mean, there have been
3 definite efficiency improvements because of the new
4 technologies introduced by the consumer electronics
5 technology that should not be forgotten at this point.

6 Also, in terms of televisions, one thing there
7 also is a utility concept that we call diversity
8 factors. Typically, there is more than one TV per home.
9 I do not know what the exact penetration is. If it is
10 three TVs per home, the first TV might be used a
11 thousand hours or, you know, the six or eight hours a
12 day. TV number two or TV number three might be one hour
13 or two hours a day. So, the only reason I mention that
14 is that in terms of some of the -- well, statistically,
15 the difference in the annual energy consumption between
16 TV number one, I will say primary TV, versus secondary
17 TV could be quite significant. So, again, just
18 something else to consider in these considerations.

19 MR. KOHM: And I take it the point is that
20 giving kind of an estimated annual energy usage would be
21 difficult under those circumstances. Is that the --

22 MR. ROSENSTOCK: I would say -- hmm, it would
23 not be difficult, but again, in terms of variance, the
24 range is going to be very, very significant compared to
25 other products that we have been discussing today, such

1 as air conditioners or heating equipment. There can be
2 a huge range of operating hours to consider.

3 MR. KOHM: David?

4 MR. KLINE: Yes, thank you.

5 The functionality or usage patterns of the
6 products are, as you mentioned, very, very diverse.
7 Secondary sets could be used two hours per week in a
8 basement, for example, whereas a main television, our
9 latest CEA numbers were that there were over 3.1
10 televisions per U.S. household. Obviously with 2.1, I
11 believe, persons per U.S. household, that means that not
12 all televisions are being watched. There is only a
13 certain number of eyeballs and hours per eyeball.

14 I would challenge each one here to think how
15 often or how much you watched TV yesterday. To take it
16 as a very specific example, I know I was doing gardening
17 and did not -- well, my wife wanted planters, but
18 nonetheless, that is a different story -- but I was
19 doing gardening and did not, in fact, watch television.
20 Even when I got to the hotel last night here in
21 Washington, I was tired and went to sleep and did not
22 view television at all yesterday.

23 Now, I am a big TV consumer and a big sports
24 fan, so on Saturdays and Sundays, I will watch NASCAR
25 racing for four to five hours at a stretch, watching

1 those little color things go round and round, but that
2 is my entertainment; however, other Sundays, I may go
3 fishing. I think that that usage pattern is probably
4 the most difficult element to define a dollar value for
5 the consumer or to even put a cost or kilowatt hour
6 value for an annual basis.

7 I would suggest that perhaps a more usage-based
8 metric may be effective, perhaps cost per hour, and let
9 you decide how much you watch it and do your own math.
10 I think in a certain sense, we underestimate consumers.
11 I think they can probably do the math, "Well, I watch it
12 two hours a day, and it costs me 4 cents an hour to run
13 this, it will cost me that much." So, I would suggest
14 that usage patterns, and by applying a standard overall
15 means that you are implying a usage pattern, six hours
16 on per day, 18 hours off, standby. That one size might
17 not fit all consumers.

18 So, I would suggest that in addition to the
19 measuring techniques, the usage models need to be
20 refined to give an accurate number, because that is what
21 we are all about, is to do an accurate comparison.
22 Information is not a problem. For some manufacturers,
23 it may be, but at least many of CEA's members are good
24 actors. We are global companies. We have a global
25 commitment to the environment and have been, as Doug

1 said, decreasing the energy consumption over time. It
2 is a question of how fast you want that angle to tilt
3 through either mandated performance or the normal
4 industry course of events, which reduces that energy and
5 the cost of those products.

6 So, thank you.

7 MR. KOHM: Before we go on to Doug, I want to
8 put the testing procedure on the table, and I just
9 wanted to ask if there are 2.1 people in a household and
10 3.1 TVs, does that mean the 0.1 person watches the 0.1
11 TV?

12 MR. KLINE: Well, you know, you might have two
13 people in my house, my wife and I -- I will put concrete
14 examples, because the abstract sometimes gets difficult
15 to understand. My wife and I watch the same TV. Does
16 that mean that that TV gets two times the actual energy
17 consumption? No, it cuts it in half. But a smaller
18 13-inch TV or a 15-inch TV, like your laptop right
19 there, may require only one person to be able to watch
20 it, whereas a larger TV may have multiple viewers and
21 actually save money, like a bus. Buses only get four
22 and a half miles a gallon, yet we are encouraging people
23 to ride buses rather than drive their Honda Prius.

24 MR. KOHM: Right. Let me ask about the test
25 procedures --

1 MR. HOROWITZ: This is Noah from NRDC, if I can
2 add something to the prior comments quickly?

3 MR. KOHM: Noah, we have three other people in
4 line, and we will put you in the queue and call your
5 name in turn.

6 Is there currently a test procedure that will
7 allow for comparison, and is the DOE procedure that
8 procedure, and if not, why?

9 I think Christopher was next in line.

10 MR. PAYNE: I am happy to offer comments, but I
11 am afraid I cannot offer comments to that question. I
12 am not familiar with the DOE test procedure.

13 MR. KOHM: You can go ahead with the comment
14 that you wanted. I just wanted to put that next
15 question on the table.

16 MR. PAYNE: I think there are a couple of issues
17 that I could address. I think, one, the overall
18 improvement in energy performance of consumer
19 electronics is admirable, but I do not think that is
20 really relevant to this discussion. It seems to me that
21 the point of the Energy Guide label is to demonstrate to
22 consumers the range of possible energy consumption
23 available in any given product, and I think we have
24 heard from Consumers Union and from NRDC that such a
25 range does currently exist in products. So, therefore,

1 it makes sense to offer that information to consumers.

2 I think it is also the case that providing that
3 information to consumers does not necessarily imply any
4 standard be put in place on the allowed performance of a
5 consumer electronics product. Just because we are
6 providing the information does not mean that you cannot
7 manufacture a highly consumptive product.

8 Third, with consumer electronics, an issue comes
9 into play a little bit more than has been historically
10 the case in some of the home appliance categories,
11 although they are starting to grow, and that is this
12 issue of standby power, the power used by an appliance
13 when it is not, in fact, actively providing the service
14 for which it was manufactured, and I think there is an
15 open question there as to whether the Energy Guide label
16 has a legal authority to report standby power as a piece
17 of information, but I think it would certainly be a
18 useful piece of information to consumers, just as active
19 power has these spreads of energy consumption, standby
20 power also has these spreads of energy consumption.

21 Typically, these are solely manufacturing
22 engineering choices that are made that determine whether
23 or not a product is going to have a fairly high standby
24 power level number or a fairly low standby power level
25 number. To the consumer, there is effectively little

1 added benefit or cost to high versus low standby other
2 than the obvious electricity cost. So, having that
3 information available to the consumer about what
4 essentially they are buying into when they plug the
5 piece of equipment in, even if they do not have it
6 turned on, is a useful piece of information.

7 Finally, I wanted to address this issue of usage
8 patterns and the relationship of usage patterns as a
9 mechanism for creating a reporting regime that would
10 allow a comparison of energy consumption among
11 particular models versus the sort of actual energy
12 consumption in any particular home of a particular home
13 electronics item. It is not necessary, I think, that we
14 concern ourselves particularly with whether a product is
15 being used one hour per day or eight hours per day if,
16 in fact, the main comparison is, okay, if you are using
17 it for an hour per day, does it use twice as much as
18 product B that you are also using for an hour per day?

19 Where it does come into play, of course, is in
20 the FTC's determination of whether this is a significant
21 energy consumer in the first place, and there certainly
22 measurement can easily determine that question.

23 MR. KOHM: Okay, we are using much of our 45
24 minutes, so we are going to call on everybody, but if
25 you could keep your comments as short as possible,

1 because we have a couple more issues to cover before we
2 finish.

3 Bernard?

4 MR. DEITRICK: Christopher kindly covered a lot
5 of what I wanted to say.

6 MR. KOHM: Okay, good, we would appreciate it if
7 you would --

8 MR. DEITRICK: But I do want to point out if the
9 FTC does not feel technically capable of developing a
10 standard to determine energy usage of TVs for labeling
11 purposes, there are organizations that would be willing
12 to work with them to develop that sort of testing
13 procedure.

14 MR. KOHM: I believe not only are we not
15 technically capable, but we are not legally capable. I
16 believe the law requires us to use a DOE procedure.

17 Christine?

18 MS. EGAN: I just have two very brief points.
19 One is to emphasize that for every product that you have
20 a label, there are varying degrees to which an
21 individual household relates to that annual operating
22 cost and that annual kilowatt hour consumption, and just
23 briefly, all the research shows that consumers are quite
24 savvy and quite clear at moderating themselves to the
25 average. They understand that I use this TV 12 hours a

1 day versus one, but consumers are capable of making that
2 decision, and I do not think that FTC needs to worry
3 themselves too much about that use of averages across
4 products. That is what is used for those factors.

5 The second is that I would just make a point,
6 and perhaps Noah from NRDC or even Andrew from USEPA can
7 comment on this, I know that China has minimum energy
8 performance standards for TVs as well as endorsement
9 labeling. Presumably there must be a test procedure if
10 they were able to set MEPS. And I do not know about it
11 myself, because TVs are not my specialty, but I would be
12 glad to get information and include it in our comments.

13 MR. KOHM: Okay, and that is a nice segue.

14 Noah?

15 MR. HOROWITZ: Very quickly on the prior comment
16 and then I will give you an answer on test procedures.
17 We agree with Mr. Johnson that the duty cycle is
18 important. You have to consider how many hours a day
19 the TV is on and how many hours on standby, and that
20 then gives you dollars per year, which is what is
21 important to consumers. We would be glad to work with
22 folks, if you want to report two numbers, for a light TV
23 user, two hours or less, and then six hours per day,
24 there are different ways to get around that, but that
25 should not be a reason to prevent you from proceeding.

1 Also, Mr. Johnson said that there has been a --
2 there are going to be a lot of improvements in the
3 technology. We would love to see that, and that is
4 further reason to get the information on the label, so
5 consumers can see and choose the less power consuming
6 one. At the end of the day, though, these products,
7 many of them now use as much as \$500 over the life of
8 their operation. So, these are real dollars.

9 In terms of the test procedure, we agree there
10 is not currently a consensus test method out there. The
11 IEC, which is populated by many of CEA's members, is
12 genuinely trying to come up with a test method, and we
13 are part of that process, too, and we think that should
14 be available in the next six to twelve months, and from
15 that, your process can proceed. That would apply to
16 LCDs, plasmas, all different technologies and all
17 different size TVs.

18 MR. KOHM: Okay, I am going to turn this over to
19 Hampton shortly, then Doug, and then I have a couple
20 more questions I would like everybody to address.

21 MR. NEWSOME: I just wanted to give a brief bit
22 of background on the annual energy consumption or annual
23 operating cost estimates. That is an issue that we have
24 to deal with with a lot of the products that are labeled
25 here.

1 Generally, the assumptions that are made about
2 annual use, whether it is the number of cycles you run
3 your dishwasher or clothes washer during the week, those
4 are all determined through the DOE test procedure, and
5 if you go into the DOE test procedures, you will see the
6 figures they have there, and, in fact, if I am not
7 mistaken, the current DOE test procedure for televisions
8 does have an annual consumption estimate, and I believe
9 it boils down to six hours a day or something like that.

10 One other point is that we do have some labels
11 that do not have annual energy consumption at all. For
12 instance, the pool heater label does not have any kind
13 of annual estimate, and I believe that was because of
14 the difficulty people saw in trying to figure out an
15 average use of those products over the year.

16 MR. KOHM: Okay, before we move on to the next
17 question, Doug?

18 MR. JOHNSON: Sure, thank you.

19 I would like to echo something that Noah just
20 mentioned toward the end of his comments, but it is a
21 key point. For digital televisions, the standard for
22 measuring energy consumption should be fair to the
23 various current and future display technologies. That
24 is very important. We have at least two major
25 technologies on the market for digital television

1 display currently and certainly others to come, but the
2 test is first. Second is the data, based on the test.
3 And the third is the economic evaluation.

4 So, to answer or to address the two big
5 questions on the table with regard to televisions, no,
6 now is not the time for the Commission to revisit its
7 earlier decision concerning televisions, and secondly,
8 the DOE standard that you have referred to a couple
9 times in your questions is inappropriate.

10 MR. KOHM: Before we move on, is there anybody
11 who thinks that the current DOE standard is appropriate?

12 (No response.)

13 MR. KOHM: Hearing nothing for the record, we
14 will indicate that nobody is speaking up.

15 The next question I have, and then we will move
16 to Rebecca, but I want to put a couple more questions on
17 the table, because we are kind of rapidly moving toward
18 quarter of. What is the economic feasibility of
19 labeling TVs? In other words, what kind of costs would
20 there be to industry?

21 Rebecca?

22 MS. FOSTER: I cannot respond to that, not being
23 a member of industry, and I have one remaining question
24 about test procedures actually.

25 MR. KOHM: Go ahead.

1 MS. FOSTER: Which my question is, I heard you
2 say, Jim, that the law requires the FTC to use a DOE
3 procedure, and the procedure that I have heard talked
4 about that is under development is being developed by
5 the IEC. So, what would be the process required? Could
6 you reference that? Would that have to be kind of
7 vetted and adopted by DOE first? Can you talk about
8 that?

9 MR. KOHM: My understanding of the current law
10 is exactly that, that either the law would have to be
11 changed or DOE would have to adopt the procedure.

12 Steve?

13 MR. ROSENSTOCK: Yes, I was going to say, a
14 couple things in terms of test procedures is that there
15 is a DOE process for changing test procedures for
16 products that are what they call federally covered
17 products. Again, under the Energy Policy Act of 2005,
18 DOE has quite the huge workload right now, because under
19 EPACT 2005, they have 29 more products or classes of
20 products where standards were set or new products to set
21 efficiency standards and test procedures. So, just know
22 that their workload has kind of increased quite a bit
23 over the last year or so.

24 Also, in terms of test procedures, just one
25 anecdote for you. I just remember dishwashing test

1 procedure. A while back, in the late eighties, I
2 believe that the DOE estimated about 322 dishwasher
3 cycles per year, and last time, when they revised their
4 test procedure for energy, I think they were down to
5 208. So, that was a reduction in the usage, whether it
6 is based on demographics or otherwise, just using the
7 dishwasher 33 percent, and that obviously has quite an
8 impact on the energy usage per year and the costs and
9 the savings.

10 MR. KOHM: Would anybody from industry or
11 elsewhere like to comment on what cost there would be to
12 such a label? David, Doug?

13 MR. KLINE: Sure, I will take a stab at that.

14 Two costs are involved. First, the testing and
15 developing the number, you have to have engineers, there
16 is procedures. If this is a self-certification process,
17 that is one level of cost. If it is certified by an
18 outside agency, federal or UL or whatever outside
19 agency, that is a significant cost.

20 Then the second cost would be the actual label
21 itself and the application of that label in the
22 production process. You have to have another operator
23 at another station on the assembly line whose job is
24 simply to put on the label if you are going to put it on
25 in production.

1 The --

2 MR. KOHM: Let me interrupt you just for a
3 second. Do you have any estimate of what that cost
4 would be?

5 MR. KLINE: I cannot say, I am sorry.

6 MR. KOHM: Okay.

7 MR. KLINE: We can certainly try to develop some
8 of that information, but I do not have it off the top of
9 my head.

10 MR. KOHM: That is fine.

11 MR. KLINE: Secondly, the cost of the label
12 itself. There was talk on the earlier labels about a
13 white field for some of the information within one of
14 the boxes. That would be extremely expensive or
15 significant cost up, because you can take a yellow stock
16 and print one color, black, to create the existing
17 labels. If you want a white box, you would have to use
18 a white stock and print two colors, yellow and black, in
19 order to create or leave the white box. Two-color
20 printing is significantly more expensive on a per-unit
21 basis than simple one-color on a standard stock. So, I
22 would hope that whatever the label configuration, that
23 that particular aspect of the printing or actual
24 fabrication of label would be taken into account.

25 MR. KOHM: Well, that is interesting, because

1 that would obviously cut across appliances. Does
2 anybody have any estimates on the difference in cost
3 between one color and two?

4 Jennifer?

5 MS. AMANN: Through the research that we did
6 with manufacturers as part of our work, in their
7 interviews, we were given an estimate of approximately 3
8 cents per label, per product. Is that right, Christina?

9 MS. EGAN: There was --

10 MR. KOHM: I am sorry, this is Christine.

11 MS. EGAN: Yes, Christine Egan with CLASP, and I
12 participated in that research. We did manufacturer
13 interviews to try to get at the cost of labeling, and
14 what we were told, because in all of the cases, there
15 was already a DOE test procedure, so the cost of the
16 test procedure is not associated with the FTC label. It
17 is associated with the DOE procedure, and we assessed
18 what were the costs of the label, and there were two
19 costs, making a template print -- I forget what you guys
20 call it, but a stamp print basically, that is a one-time
21 cost, and then there is the recurrent cost of producing
22 the labels, applying the labels and glue essentially.

23 The manufacturers actually -- it was interesting
24 who we talked to. We did 15 manufacturer interviews,
25 they came up with a number of 3 cents, but frankly, they

1 had never really thought about it, because it is a small
2 cost, and it is not one guy on a line whose only job is
3 to put labels on. In fact, in the factory, the guy does
4 a lot of things, one of which is affixing the label, but
5 3 cents per label is the only number I have ever seen
6 anywhere in the world as far as this cost.

7 MR. KOHM: And is that for one color,
8 essentially printing in one color?

9 MS. EGAN: This is for the Energy Guide label.
10 This is the first I have heard that the white actually
11 requires a second color print. I am not actually sure
12 if that is true, because a lot of AHAM's members choose
13 to do it that way, so I do not know why they would be
14 taking on the cost of a second color print, so I think
15 that is a hypothesis worth putting to a graphics
16 printing company.

17 MR. CALABRESE: Dave Calabrese, and I mean, I
18 can certainly look into this.

19 MR. KOHM: Okay, and that was David, just for
20 the record, and I believe Doug is next.

21 MR. HOROWITZ: And if you could put Noah in the
22 queue.

23 MR. KOHM: Okay.

24 MR. JOHNSON: CEA has not researched this
25 question. It is something we could certainly do. I

1 would caution you against accepting estimates at the
2 table today on this question. Certainly there are at
3 least three factors that come into play with regard to
4 cost of labeling. One was mentioned earlier by
5 Mr. Kline, the testing. There is the implementation
6 cost, which certainly includes the physical label
7 itself, and then there is the maintenance of the label
8 as well, but we do not have that research currently, and
9 I would caution you against accepting numbers at the
10 table.

11 MR. KOHM: Jennifer, you made your comment?
12 Noah?

13 MR. HOROWITZ: Yes, two points quickly. The
14 test itself that is being considered is using either a
15 fixed clip or a moving test clip, and that just means
16 hooking up a DVD to a TV and a power meter or some
17 variance of that. So, this is not going to be an
18 expensive or difficult test to run, just the details
19 need to be worked out, and they will be on that
20 committee Doug referred to.

21 Secondly, to try to put all this into
22 perspective, in order of magnitude numbers, in America,
23 we are using 4 billion, B as in boy, dollars to power
24 our TVs. So, while these printing costs and so forth
25 are real, I think when you put it in perspective,

1 compared to what the consumers are paying for the
2 electricity, this is in the noise. I just wanted to
3 point that out to folks.

4 MR. KOHM: Christine?

5 MS. EGAN: I just want to add a follow-on
6 comment both to what Doug said and to what Noah said,
7 which is that I completely agree with what Doug said,
8 that the study that we did, it was a small number of
9 qualitative interviews, so it is by no means meant to be
10 representative of the actual costs, and in particular,
11 also, because of the nature of the interview, it was the
12 manufacturers talking off the tops of their heads,
13 because the number is so small, nobody has ever thought
14 to calculate it essentially for this piece, in
15 particular, and I just want to second what Noah just
16 said, which is whatever that cost, we have to trade that
17 off against the energy savings that would accrue to
18 determine a net benefit to the U.S. economy.

19 MR. KOHM: Okay, we have one comment in the
20 audience.

21 MR. SHARP: Hi, my name is Mark Sharp. I am
22 with Panasonic.

23 MR. KOHM: I do not think it is on, if you could
24 flip the switch.

25 MR. PAYNE: The red light is on.

1 MR. SHARP: Can you hear me now?

2 MR. KOHM: Try the other microphone.

3 MR. SHARP: Okay, my name is Mark Sharp. I am
4 with Panasonic.

5 I was going to be content and allow our
6 colleagues to represent our position, but the last
7 comment made me stand up. In an industry where cost
8 pressures are severe, in fact, the real price of
9 televisions goes down more than -- well, it is about 12
10 percent annually, three cents is not an insignificant
11 cost per unit, and I do not think you realize the number
12 of units, and I was trying to come up with the number in
13 my head, of annual sales of TVs. It is in the millions.
14 So, we are talking about substantial dollars here, and
15 engineers literally rack their brains trying to figure
16 out ways to save pennies on every unit that is produced.
17 So, I would not gloss over that comment so lightly.
18 Thank you.

19 MR. KOHM: Thank you.

20 I promised that I would give people an
21 opportunity at the end, and I see we only have six
22 minutes, to talk about whether they think labeling is a
23 good idea at all, and right now I would invite any
24 comments on that issue.

25 David?

1 MR. KLINE: Yes, my first concern is the nature
2 of the certification process. In CEA, there is a long
3 history of self-certification, through Energy Star and
4 several other industry initiatives. The question of
5 certifying through an outside agency or verifying the
6 results of your own internal self-certification are a
7 major issue not in terms of costs, but also in terms of
8 development cycle, and I just wanted a clarification
9 from you all and the Federal Trade Commission of which
10 type of testing you would be considering, either
11 self-certification or a third-party outside
12 certification or measurement or verification of internal
13 results.

14 MR. KOHM: Okay, thank you.
15 Chris?

16 MR. PAYNE: Two quick points. One, based on the
17 numbers just presented, a hundred million units per
18 year, 3 cents per label, that would be \$3 million to
19 label the units, compared to Noah Horowitz's \$4 billion
20 per year electricity cost, and that is a roughly 100 to
21 1 difference or 1000 to 1, excuse me.

22 Two, the question of should this product be
23 labeled, I would say that the testing to date done by
24 Consumers Union and NRDC seems to suggest that there is
25 a range of consumption on the market and that the energy

1 consumption of home electronics is increasing. That is
2 something known by DOE. But I think it is a very valid
3 point that the test procedure is not yet developed
4 fully, and therefore, it would be very difficult for FTC
5 to be able to create a label.

6 I think that the two can move forward in
7 parallel. I think that FTC can probably make a
8 determination that labeling these products would be a
9 valuable thing and a warranted thing to do once a test
10 procedure is in place, and therefore, give the
11 manufacturers some stability in the marketplace, they
12 know that this is coming, perhaps set a specific date
13 after which, after which the test procedure was
14 developed, that the labeling could take place, and
15 essentially lay out the road map here. I do not think
16 we need to have everything already in place to be able
17 to make the determination if labeling should go forward,
18 and on that basis, I would encourage FTC to label these
19 products.

20 MR. KOHM: Andrew?

21 MR. FANARA: Yes, Andrew Fanara with EPA's
22 Energy Star program. I just wanted to make a couple of
23 comments. Rarely do I ever come to a meeting like this
24 where I tend to agree with everyone, but everyone has
25 made a lot of good points.

1 The one thing I just wanted to add in terms of
2 context is in my roughly ten years of writing
3 specifications at Energy Star, the product that far and
4 away gets the most attention when we talk about it is
5 televisions, hands down. We expressed some interest in
6 looking at test procedures and a new spec for Energy
7 Star in the last six months, and my phone rang off the
8 hook. So, that's anecdotal. Take it for what it is
9 worth, but there was a lot of interest.

10 In my opinion, probably only cars and the price
11 of gasoline gets more attention from an energy
12 perspective, and I do not have authority to work on cars
13 yet, so...

14 MR. KOHM: We are well aware of the gasoline
15 issues.

16 Doug?

17 MR. JOHNSON: Thank you.

18 Contrary to Mr. Payne's comments of a moment
19 ago, I think the Commission does have an obligation to
20 analyze this thoroughly, as it does with other issues.
21 It would be premature for the Commission to act at this
22 point or to make a recommendation or to lay a road map
23 in the absence of a test method and in the absence of
24 data based on that test method and in the absence of a
25 thorough economic analysis once that data is in.

1 MR. KOHM: Bernard?

2 MR. DEITRICK: I would like to recommend that
3 the FTC proceed with a road map. It makes sense to plan
4 ahead. The one thing that we have been told is that as
5 TVs progress, they become more energy efficient, and one
6 thing that helps that progression is an informed
7 consumer making choices based on that information. That
8 information is not currently available. When consumers
9 can make choices based on that energy efficiency, the
10 average energy efficiency of the TV fleet of the U.S.
11 will increase, and it will lead to real energy savings.

12 Thank you.

13 MR. KOHM: We are rapidly approaching the
14 bewitching hour here, and we have a few more people
15 online, so if everybody could keep their comments very
16 brief, we will get everybody in quickly.

17 MR. HOROWITZ: And please put Noah in the queue,
18 please.

19 MR. KOHM: Steve?

20 MR. ROSENSTOCK: Well, just real quick, I think
21 it all depends on since DOE has to revise the test
22 procedure, if you can, talk with some experts with DOE
23 working on the compliance of something to see when they
24 would be able to get around to revising their test
25 procedure for televisions. That could be the key

1 determinant. It might be they might get to it within
2 the year. With all of their schedules, I highly doubt
3 it. It could be at least two or three, maybe four years
4 before they can get around to doing it because of their
5 schedule, because they are so pressed right now.

6 MR. KOHM: Jennifer?

7 MS. AMANN: Just a couple of comments.

8 We would encourage you to move forward in
9 investigating the feasibility. As you have noted in the
10 documents put out for the workshop today, something does
11 require labeling of these products unless it is
12 determined to be technologically or economically
13 infeasible, and I do not think that is something you are
14 sure of now, and certainly it makes sense to do the
15 research to find that out.

16 The reason that televisions were not labeled
17 before, as we have discussed and as a number of people
18 have commented on, was that there was little seen
19 variation in the energy cost and that that energy cost
20 was a small fraction of the purchase price. I think the
21 marketplace today shows a far different experience, but
22 it would certainly be worth bearing out with additional
23 research, and I would also agree that that could take
24 place even in the absence of a test procedure since we
25 know that there are industry efforts underway to do

1 that.

2 I would also suggest that it could be easier for
3 DOE to come up with a test procedure for this product
4 because industry is working on a consensus standard, and
5 that is something that DOE could adopt if it has been
6 developed by a consensus of industry and if the other
7 advocates at the table also agreed that that was an
8 adequate test procedure.

9 MR. KOHM: Okay, we are going to just go 15
10 seconds now and get the last three people.

11 Christine?

12 MS. EGAN: Just very briefly, this market is
13 changing very, very rapidly in terms of energy
14 consumption, and the fact that a television could use
15 500 kilowatt hours on an annual basis, I think that most
16 consumers are completely unaware that with this change
17 to a new technology platform that their television uses
18 as much energy as their refrigerator, and that is very
19 relevant information for the FTC to provide.

20 MR. KOHM: Thank you.

21 Noah?

22 MR. HOROWITZ: Yes, we would like to see FTC
23 commit to adding TVs to their program, and you could
24 develop a road map where time zero is the development of
25 a consensus test method. Definitely, we think Energy

1 Star is a great tool, but it is not enough here. Your
2 label would be compatible with Energy Star. Energy Star
3 just points out the top 25 percent, and the consumers
4 would not be able to tell within that 75 percent if it
5 is an energy hog or not.

6 MR. KOHM: And Doug, we will give you the last
7 word, very quickly.

8 MR. JOHNSON: Appreciate it.

9 We are at the beginning of a major and exciting
10 national transition to digital television. To set any
11 labeling program at this point would be like setting a
12 program for labeling analog televisions back in the
13 1950s. The committee or the Commission last looked at
14 this question in the 1970s, well into the history of
15 analog televisions, and here we are at the very
16 beginning of the transition to digital television and
17 with this question in hand. So, I would urge the
18 Commission not to act at this point for all the reasons
19 we have given and for all the reasons we will give in
20 our written testimony.

21 Thank you.

22 MR. KOHM: Okay. Well, thank you all very much
23 for one more lively panel, and pardon the pun, keeping
24 the energy up for the afternoon.

25 I will turn it over for the very last bit to

1 Hampton. Thanks again.

2 MR. NEWSOME: Well, I guess we had set off about
3 15 minutes for any additional issues, and I had asked
4 earlier if anyone had any topics they wanted to cover,
5 and I will ask that again.

6 Does anyone have any other issues they want to
7 talk about in these last couple minutes?

8 Jennifer?

9 MS. AMANN: Yes. If you would, I would like to
10 just respond to some things that were said earlier that
11 I think it is important to get on the record. They are
12 not necessarily additional issues.

13 A number of issues were raised over the quality
14 of the research that ACEEE conducted, and actually, I
15 think our research was mischaracterized and
16 misrepresented in some ways, and I think it is important
17 to get on the record exactly what our research entailed.

18 ACEEE did not do a single research task, as I
19 mentioned before, we did a long and comprehensive
20 program of testing on energy labels, and it was an
21 iterative process that used both qualitative and
22 quantitative research. Our qualitative research
23 consisted of focus groups, three major sets of focus
24 groups, each consisting of multiple panels in multiple
25 cities, as well as one-on-one interviews with consumers,

1 retailers, contractors and manufacturers.

2 We also then used that research to guide our
3 efforts and to develop designs that would be tested
4 quantitatively, and we did conduct quantitative
5 research. Our quantitative research was done in two
6 tasks. One was a nationwide survey, which was
7 nationally representative, and secondly was a shopping
8 experiment, which was not nationally representative,
9 because it took place in one city.

10 But I just want to get on the record that we did
11 do qualitative and quantitative research, and all of
12 those findings have been published, and we will be happy
13 to supply the backup data on the actual tests that were
14 done, each individual research task, as a part of that
15 full program.

16 Another issue that I think it is important to
17 address is this issue within studying of labeling
18 designs of comprehension versus preference of labels.
19 We have found through our research, and I believe
20 Christine could probably comment more on their research
21 internationally, and we have found this in research that
22 we have done on appliance labels and on vehicle labels,
23 that there is often a disconnect between the labels and
24 the information that consumers say they prefer and what
25 they actually understand and comprehend.

1 So, I think it is important that any research
2 that FTC carries out is not just to ask consumers which
3 label they prefer or which label they think gives them
4 the information the best, but actually test their
5 comprehension, which labels allow them to make
6 decisions, actually use the information and to draw the
7 appropriate conclusions. Again, which labeled product
8 is more or less efficient? Can they get the answer
9 right? There is a definite right and wrong answer
10 there, and to weigh that in any deliberations about
11 which label designs are effective in helping consumers.
12 I think comprehension is more important than preference
13 in this area.

14 Finally, I would just like to say two things
15 about the research that FTC will conduct. I would like
16 to request that the FTC consider having stakeholders
17 review the research design, particularly people within
18 industry and other organizations that have experience
19 carrying out consumer research, and also in your
20 selection of a research contractor, I think it is
21 important to look for someone who does have experience
22 in working with consumers and doing research on this
23 type of somewhat sophisticated informational products
24 and also products that serve a policy goal.

25 That is it, thank you.

1 MR. NEWSOME: Okay, thank you, Jennifer.

2 Christine?

3 MS. EGAN: Jennifer hit about 79 percent of the
4 points that I wanted to make, but I want to actually
5 emphasize or draw out a little bit more about what we
6 mean about the difference between preference and
7 comprehension. Testing comprehension is not asking
8 consumers, what do you think of this label? What
9 percent of you think it is understandable? What percent
10 of you like it? What percent of you think this one
11 gives this kind of information, energy efficiency
12 information? What percent of you think it gives energy
13 usage information? That is not testing comprehension.
14 That is testing what people think they understand, what
15 they think the message is.

16 Testing comprehension is actually
17 experimentally, in a design fashion, measuring people's
18 take-away messages of the label from the label and
19 measuring their take-away message from one label, not
20 five, because there is learning in between if you test
21 five, and seeing, are they getting what we all around
22 the table would agree is an objectively correct answer?
23 And what you find in all of the research is that in
24 general, there is very little consistency in what people
25 actually understand in experimental fashion and what

1 they say they understand, and that is an essential
2 ingredient. I do not know the extent to which the AHAM
3 research did it, but any study that does not do that,
4 including what you guys would consider doing going
5 forward, is a very flawed study, because that
6 discrepancy has been proven time and time and time
7 again.

8 So, you really have to get at that actual
9 interpretation in an experimental design fashion, and
10 that is just my one recommendation. I fully support a
11 research committee also and would be glad to
12 participate.

13 MR. NEWSOME: Thank you.

14 Okay, David Kline?

15 MR. KLINE: Yes, one last comment, thank you.

16 The television industry is a very diverse
17 industry, not only for screen size, ranging from four
18 inches to hang around your neck at a baseball game to
19 the 13-inch set that sits on your kitchen cabinet or
20 under your cabinet or on the kitchen counter, to the 27
21 to 36-inch TV that may be in your bedroom, to the 60 or
22 70-inch projection TV or large plasma or LCD screen that
23 are available. 103 inches was the largest one that was
24 at the Consumer Electronics Show in Las Vegas.

25 That diversity makes the refrigerator top

1 freezer, bottom freezer, side-by-side, look like a walk
2 in the park in terms of comparing actual products with
3 similar products. If you want a 13-inch to sit on your
4 counter in the kitchen, you are not going to be looking
5 at 60-inch plasma sets. So, I think the product
6 categorization and for a consumer to honestly compare
7 similar products to solve similar solutions, for those
8 consumers, is a very vital area.

9 There is, secondly, differences in technologies.
10 Even the same 42-inch wide screen LCD or plasma screen
11 have divergent power consumption factors. So, I would
12 like to say that we would very much encourage
13 categorization and being able to actually compare
14 similar products on the sales floor in a primarily
15 retail environment, which the consumer electronics
16 market is.

17 MR. NEWSOME: Thank you.

18 David Calabrese?

19 MR. CALABRESE: Thank you.

20 Well, I think this was a very good discussion
21 today. I think there are a number of things that we
22 will take back from this. One of the points that I
23 wanted to highlight, I think it is very significant, is
24 the comments from the Energy Star program, both the DOE
25 and the EPA program, comments they made about the

1 categorical label, similar concerns that we have about
2 the complexity. We have concerns about the complexity
3 as well as the confusion that it causes. They
4 highlighted very aptly, I think, that the problems with
5 the categorical label, as the Energy Star program or the
6 Energy Star logo would interact with, it is very
7 important that that be considered.

8 Again, our comments on the categorical label, I
9 am not going to repeat those. We feel very strongly
10 about them. In our research, this issue of
11 comprehension versus preference, you will certainly be
12 able to see more of the results or actually most of
13 them, I think all of our results from our interviews are
14 in the study that are on the web site, but that issue is
15 very closely linked. The comments from the individuals
16 that were responding noted that they understood what
17 they were looking at, and that is the reason why they
18 liked the label, label number two in this case, why they
19 preferred that. So, it was an issue of comprehension,
20 and that comprehension led to their preference.

21 Lastly, and I certainly do not want to belabor
22 any points on the ACEEE study, I just want to clarify,
23 at one point I was reading a quote from the study that
24 references the qualitative versus quantitative effect.
25 There is a passage within the study which notes that the

1 ACEEE study is not a quantitative but is a qualitative.
2 So, I am just reading what was in there, and I do not
3 want to continue the discussion, or if you like, you
4 certainly can respond, but I was only quoting directly
5 from the ACEEE study.

6 I thank you very much. I think it was a great
7 discussion today, and we look forward to providing
8 comments.

9 MR. NEWSOME: Thank you.

10 I guess, Bernard, you get the last word.

11 MR. DEITRICK: And I will keep it especially
12 short. When you are first labeling a new product
13 category, I would say keep it simple. A dollar value
14 per year or a dollar value per hour or a kilowatt value
15 per day, something simple, do not categorize. If it
16 does not use a lot, do not label it. You know, look at
17 the things that use a lot of energy, like the big plasma
18 TVs. Do not rate the three-inch iPods that hang around
19 your neck so that you can watch Lost while you are on
20 the subway. So, the simpler that that program is to
21 start, the better. Then we will see how it works and
22 what improvements are needed, and I am sure that we will
23 be sitting around a table in five years talking about
24 this.

25 MR. NEWSOME: Well, thank you.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

ADDITIONAL ISSUES AND WRAP-UP

MR. NEWSOME: I want to thank everyone for coming today. This is very useful for us, and we appreciate that you have taken the whole day here to share your thoughts and your expertise on these issues.

We will continue to work on this proceeding. I urge you to provide written comments if you feel like you want to supplement what you said today or there are additional points that you want to bring up.

Also, with these studies that have been done, as we mentioned this morning, it would be very helpful if we could get on the record the underlying reports that are associated with those studies so that people can look at the issues that have been raised here today and see exactly what the comments are getting at with those.

But with that, thank you very much, and I am sure we will be seeing all of you again in the future. Thanks.

(Whereupon, at 3:59 p.m. the workshop was concluded.)

1 C E R T I F I C A T I O N O F R E P O R T E R

2 MATTER NUMBER: P064201

3 CASE TITLE: ENERGY LABELING WORKSHOP

4 DATE: MAY 3, 2006

5

6 I HEREBY CERTIFY that the transcript contained
7 herein is a full and accurate transcript of the notes
8 taken by me at the hearing on the above cause before the
9 FEDERAL TRADE COMMISSION to the best of my knowledge and
10 belief.

11


12

DATED: 05/17/2006

13

14

15



16

SUSANNE BERGLING, RMR-CLR

17

18 C E R T I F I C A T I O N O F P R O O F R E A D E R


19

20 I HEREBY CERTIFY that I proofread the transcript
21 for accuracy in spelling, hyphenation, punctuation and
22 format.

23

24

25



DIANE QUADE